

Job No. 662

DEPARTMENT OF ENERGY COMMUNITY MEETING

TAKEN ON

WEDNESDAY, FEBRUARY 21, 2007

REPORTED BY: LINDA FRAZEUR

CSR NO. 6697

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Department of Energy Community Meeting, taken on  
behalf of Boeing, at 999 Enchanted Way, Simi Valley,  
California, 93065, on Wednesday, February 21, 2007,  
commencing at 6:35 p.m., before Linda Frazier,  
CSR No. 6697.

APPEARANCES:

FOR DEPARTMENT OF ENERGY:

DEPARTMENT OF ENERGY  
BY: Thomas Johnson, ETEC Project Manager  
5800 Woolsey Canyon Road  
Canoga Park, California 91304-1148  
818.466.8959  
etec@doeal.gov

FOR BOEING:

THE BOEING COMPANY  
BY: Ravnesh Amar, Program Manager  
- AND -  
Phil Rutherford, Radiation Safety  
- AND -  
Blythe Jameson, Environmental Communications  
5800 Woolsey Canyon Road  
MC 055-T487  
Canoga Park, California 91304-1148  
818.466.8782  
ravnesh.amar@boeing.com

1 APPEARANCES: (Continued)  
2  
3 REPRESENTATIVES OF ELECTED OFFICIALS AND GOVERNMENT  
AGENCIES:  
4  
Hilda Garcia (Senator Sheila Kuehl)  
5 Jarrod DeGonia (State Assemblyman Cameron Smyth)  
Dan Paranik (City of Simi Valley)  
6 Brian Miller (Congressman Elton Gallegly)  
Guillermo Gonzalez (Senator Dianne Feinstein)  
7  
Lora Ramey (DTSC)  
8 Rob Greger (DHS)  
Rich Schassburger (DOE)  
9 Bill Taylor (DOE)  
Simon Lipstein (DOE)  
10 Brian Sujata (Boeing)  
11  
12 SPEAKERS:  
13 Dan Hirsch  
Bob McClain  
14 Elizabeth Crawford  
Bonnie Klea  
15 Hilda Garcia  
Guillermo Gonzalez  
16 Dan Parks  
Barbara Johnson  
17 Christina Walsh  
Chris Rowe  
18 Mark Perryman  
Sue Boeker  
19 John Luker  
Adam Salkin  
20 Brian Miller  
Dorrie Raskin  
21 Rhea Mason  
Betty Brio  
22  
23  
24  
25

I N D E X

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

PUBLIC COMMENT BY:

PAGE

MR. HIRSCH	36
MR. McLAIN	51
MS. CRAWFORD	57, 116
MS. KLEA	64
MS. GARCIA	69
MR. GONZALEZ	69
MR. PARKS	69
MS. JOHNSON	75
MS. WALSH	76
MS. ROWE	78
MR. PERRYMAN	84
MS. BOEKER	92
MR. LUKER	97
MR. SALKIN	100
MS. RASKI	111
MS. MASON	112
MS. BRIO	113

1 SIMI VALLEY, CALIFORNIA - WEDNESDAY, FEBRUARY 21, 2007

2 6:35 p.m.

3

4

5 P R O C E E D I N G S

6

7 MR. SMYTH: Okay. I've been informed that it's  
8 officially 6:35. I believe that is officially late. So  
9 if everybody can take their seats, we'll go ahead and get  
10 started. Of course, during the meeting you can get up  
11 and get coffee or water or cookies or whatever you  
12 desire.

13 So welcome tonight to --

14 It's a long title. I need to read it.

15 -- the Department of Energy's public meeting to  
16 discuss the proposed disposition of Building 24 or the  
17 Energy Technology Engineering Center project.

18 My name is Jeff Smyth. This is actually the  
19 fifth DOE public meeting, I think -- I might have lost  
20 count -- but the fifth public -- DOE public meeting that  
21 I've facilitated.

22 Tonight's meeting is a little different than the  
23 ones in the past. Those meetings were on topical  
24 subjects, I guess, in a little freer form and broader  
25 range. Tonight's meeting is specifically to solicit your

1 comment on DOE's proposed disposition of Building 24.

2           As a result of the narrower focus, the format  
3 has also been changed from the meetings that you guys  
4 might have seen in the past, for those of you that have  
5 attended past meetings. There will be a formal  
6 presentation still. It will be about 20 minutes in  
7 length. And then there will be about an hour -- or  
8 longer if it takes longer or shorter if we can solicit  
9 public comment in a shorter period of time -- a comment  
10 period for you guys.

11           Part of the change in format from those earlier  
12 meetings is that instead of sitting in your seat and  
13 asking questions and getting comment, you're going to be  
14 asked tonight to come up to the microphone, identify  
15 yourself. The purpose for that -- Actually, this is one  
16 of the ways you can provide comments tonight on DOE's  
17 proposed alternative. The purpose of identifying  
18 yourself and coming to the microphone is so Linda, the  
19 stenographer, can record your comment. The purpose for  
20 that is because DOE has a legal obligation to respond to  
21 significant comments on the EE/CA -- on the Engineering  
22 Evaluation/Cost Analysis, which is the document that  
23 describes DOE's analysis of the disposition alternatives.  
24 And so they'll take the public comment that's recorded  
25 and respond to those in formal fashion.

1           If you don't want to come to the microphone and  
2 give verbal comment tonight, then you can also grab a  
3 sheet, a comment sheet, which is out there. I'll be  
4 happy to give you one if you raise your hand during the  
5 meeting. Write your comment and turn it in at the door  
6 on your way out. There's also, I guess, a third method,  
7 which is write your comment down or your question down.  
8 And if you want somebody else to read it at the  
9 microphone, you can take it back out there. And there's  
10 another box for those. Or you can raise your hand and  
11 give them to me and I'll make sure it gets read and,  
12 therefore, written in the record.

13           As you can see, there are three or four cameras  
14 here tonight, which is terrific. It's a public meeting.  
15 It should be recorded. But one of the things we want to  
16 make sure you guys understand is that you're under no  
17 requirement to be filmed. If you want to make a public  
18 comment, provide comment, and you don't want to be  
19 filmed, just let me know and I'll make sure that you're  
20 not filmed. We'll ask them to turn off the cameras  
21 during your comment. If you don't mind, they'll film  
22 you. And I guess everything will be fine.

23           Let's see. Some ground rules: Again, they're  
24 very simple since this is a pretty narrow, focused  
25 meeting. We ask, just like the past meetings, you hold

1 your comments during the formal presentation until the  
2 comment period. That's just so we can actually get  
3 through the formal presentation. It is basically a  
4 repetition of what's in the document that's a handout,  
5 the Engineering Evaluation/Cost Analysis.

6           When it's time to give comment, please be  
7 courteous and respectful to the other people that want to  
8 provide comment. That means provide your comment and  
9 then give somebody else a chance. Okay?

10           What else?

11           Oh, if you could, please provide your name and,  
12 if you want, if you have any affiliation other than a  
13 member of the public, please provide that also just so it  
14 can go on the record.

15           Logistics: For those of you that haven't been  
16 here before, bathrooms are out that door. Mens on the  
17 left as you face this wall; women's on the right.  
18 There's also a drinking fountain out there. Water in the  
19 back, coffee -- looks like three jugs of caffeinated  
20 coffee and one that is decaf -- and cookies.

21           Handouts: I guess I've talked about the  
22 Engineering Evaluation/Cost Analysis, which again is the  
23 draft report the DOE is seeking comment on, and a fact  
24 sheet which summarizes the entire proposed removal action  
25 and I think provides some brief history of Building 24.



1           Introductions -- And I got the list about  
2 5 minutes ago so if I miss anybody, please let me know.  
3 Elected officials that have representatives here tonight,  
4 State Senator Sheila Kuehl, Ms. Hilda Garcia.  
5           And I got your name right?  
6           MS. GARCIA: Yes.  
7           MR. SMYTH: Great.  
8           And for State Assemblyman Cameron Smyth, Jarrod  
9 DeGonia, over there.  
10           From I think the only agency representative here  
11 tonight is Lora Ramey (phonetic) from Department of Toxic  
12 Substances Control.  
13           MR. GREGOR: Rob Greger.  
14           MR. SMYTH: Rob Greger from Department of Health  
15 Services.  
16           UNIDENTIFIED SPEAKER: (Unintelligible).  
17           MR. SMYTH: Sorry for missing you guys.  
18           MR. PERINACK: Dan Paranik, City of Simi Valley.  
19           MR. SMYTH: Great. I thought I recognized you,  
20 Dan. Thanks for coming.  
21           From the Department of Energy, some new names  
22 and faces again if you have attended past meetings.  
23           Rich Schassburger in the back row is the Federal  
24 Project Director from the Oakland Project Office. He  
25 replaced Rich Daily (phonetic) in --

1 UNIDENTIFIED SPEAKER: December.

2 MR. SMYTH: -- December? Okay.

3 Thomas Johnson is the Department of Energy's

4 project manager for the Energy Technology Engineering

5 Center. You'll be hearing from Thomas tonight in the

6 formal presentation and possibly later during public

7 comment.

8 Bill Taylor is the communications -- sorry --

9 Public Information Officer for the Department of Energy.

10 He was here a second ago.

11 He must be out dispersing public information.

12 UNIDENTIFIED SPEAKER: Could we have them stand

13 so we can see who they are?

14 MR. SMYTH: Sure. Do you want me to go all the

15 way back to Rich?

16 UNIDENTIFIED SPEAKER: Yeah.

17 MR. SMYTH: Mr. Schassburger?

18 UNIDENTIFIED SPEAKER: DOE.

19 MR. SMYTH: Department of Energy, Federal

20 Project Director from Oakland.

21 Thomas Johnson, Project Manager for ETEC. And

22 he lives here. His office is at the site.

23 Bill Taylor, who is in the back. I'll make sure

24 I identify him when he comes in.

25 And Simon Lipstein, the legal advisor for the

1 Department of Energy in the back row.

2 UNIDENTIFIED SPEAKER: Based where?

3 MR. SMYTH: Cincinnati, I believe.

4 MR. LIPSTEIN: Based in Denver.

5 MR. SMYTH: Denver. Okay.

6 For Boeing, Ravnesh Amar. He's the Program  
7 Manager, DOE Site Closure. He replaced Majelle Lee, I  
8 think --

9 Last spring?

10 MR. AMAR: That's correct.

11 MR. SMYTH: Phil Rutherford, Manager of Health,  
12 Safety Radiation Services.

13 Brian Sujata is the Building 24 project manager.  
14 It's his project that I guess the meeting is focused on  
15 tonight.

16 And Blythe Jameson --

17 UNIDENTIFIED SPEAKER: -- from ETEC?

18 MR. SMYTH: Yes, Boeing.

19 UNIDENTIFIED SPEAKER: Oh, Boeing? What is your  
20 name again?

21 MR. SUJATA: Brian Sujata.

22 MR. SMYTH: S-u-j-a-t-a.

23 MR. SUJATA: That's right.

24 MR. SMYTH: And Blythe Jameson who is the  
25 Environmental Communications Manager for Boeing.

1 I think that's the introductions.  
2 So again, 20 minutes' formal presentation, give  
3 or take. And then we'll go on to the public comment  
4 period. Okay?  
5 Thomas?  
6 MR. JOHNSON: Before I get started on the  
7 presentation, I'd like to tell you just a little bit  
8 about myself.  
9 My name is Thomas Johnson. I've been on-site at  
10 ETEC for a little over a month now. I've been with the  
11 Department of Energy for the last --  
12 UNIDENTIFIED SPEAKER: Can't hear you.  
13 MR. SMYTH: Is that any better?  
14 MR. RUTHERFORD: Is the mike switched on?  
15 MR. JOHNSON: It's switched on. I can hear  
16 myself.  
17 UNIDENTIFIED SPEAKER: Well, that's not quite  
18 good enough for the rest of us.  
19 MR. JOHNSON: Hold on one second.  
20 Is that any better?  
21 UNIDENTIFIED SPEAKER: No.  
22 MR. SMYTH: Can you hear me better now?  
23 UNIDENTIFIED SPEAKER: Hold the mike.  
24 MR. JOHNSON: How about now? Okay. I'll start  
25 again.

1           My name is Thomas Johnson. I'm with the  
2 Department of Energy. I've been at the ETEC site for a  
3 little over a month now. I've been with the Department  
4 of Energy for a little over 14 years. Coming from the  
5 Savannah River Site in Aiken, South Carolina.

6           My experience with the Department has been in  
7 the soil and ground water arena for the last 11 years or  
8 so, and also with some facility D & D. I also have some  
9 experience in solid waste management as well. And prior  
10 to working for DOE, I actually worked for the Corps of  
11 Engineers for about 11 years. So I've got about 25 years  
12 of federal experience.

13           I did both my graduate and undergraduate at the  
14 University of South Carolina. And it's actually my first  
15 time living outside of -- outside of the Carolinas. So  
16 just now getting used to being here in the California  
17 area, but looking forward to serving you all as the  
18 project manager for ETEC.

19           And with that, I'll go ahead and get started  
20 with my presentation. I've got about seven --

21           UNIDENTIFIED SPEAKER: We still can't hear you.

22           UNIDENTIFIED SPEAKER: Is this mike better?

23           UNIDENTIFIED SPEAKER: I mean, you're talking  
24 out your -- You're talking like this and it's not by the  
25 mike.

1           MR. SMYTH: Okay. Well, give him a chance to  
2 try to fix it. He wants you to hear him.

3           UNIDENTIFIED SPEAKER: Does this mike work?

4           MR. SMYTH: It should. But this one should  
5 also.

6           MR. JOHNSON: Can you hear me better now, Miss?

7           UNIDENTIFIED SPEAKER: No.

8           MR. JOHNSON: I'll try to make sure I hold it  
9 right here in front of my mouth.

10           Okay. Why are we here? We're here to discuss  
11 the DOE's plan for the removal of Building 4024. We're  
12 here to solicit the public comments on the proposed  
13 removal action. And I will give you some more details on  
14 what exactly we're planning on doing. And also that this  
15 plan presented tonight has been reviewed by the EPA, and  
16 it incorporates the comments that they have provided to  
17 us. So the focus of tonight's meeting is to try and  
18 obtain any public comments that you may want to provide  
19 on the proposed action.

20           The process that we're following here is called  
21 a removal action. It will be conducted in accordance  
22 with the 1995 joint memorandum between the Department of  
23 Energy and the EPA. And it is consistent with the  
24 Comprehensive Response Compensation and Liability Act, or  
25 what we normally refer to as CERCLA.

1           The decontamination and demolition of the  
2 remaining radiological facilities at the ETEC sites,  
3 which is there is two, will be performed using this  
4 non-time-critical removal action. I'll give you a really  
5 detailed look at the removal action -- non-time-critical  
6 removal action.

7           The non-time-critical removal action requires  
8 completion of EE/CA or Engineering Evaluation and Cost  
9 Analysis. This approach, as I've stated before, includes  
10 an opportunity for EPA to review and comment on the  
11 Department's plan and also provides the opportunity for  
12 the public to comment on our plans prior to us initiating  
13 any action on the facility.

14           Next slide.

15           What exactly is an "EE/CA"? Again, it's the  
16 Engineering Evaluation and Cost Analysis for a specific  
17 action that the Department is planning on taking. This  
18 is a document that is produced as a part of the  
19 non-time-critical removal action process. The  
20 non-time-critical --

21           Thank you.

22           The non-time-critical removal action is  
23 performed when there's no immediate threat to the public  
24 or the environment and when there is sufficient time  
25 that's available for planning and for community

1 involvement.

2           I know this process is a little bit different  
3 than what you may have seen in the past at the ETEC site,  
4 but we wanted to make sure that we heard the public  
5 comment. We are aware the public has really not had an  
6 opportunity in the past to be directly involved in some  
7 of the processes. So for these last two remaining  
8 radiological facilities, we want to have you go through  
9 this process, where you certainly have that opportunity.

10           The specific scope of this EE/CA includes the  
11 identification of the removal action objectives, the  
12 evaluation of the removal action alternatives, and will  
13 also present a recommendation of a removal action for  
14 this specific facility.

15           The timeline for this particular EE/CA, we  
16 actually public-noticed this EE/CA January 26 in the  
17 Daily News and in the Ventura County Star. The  
18 administrative record for this particular project was  
19 established also on January 26. The document supporting  
20 for this particular facility is available in the public  
21 repositories in the area at local libraries and is also  
22 available on the DOE ETEC website.

23           The next item will be timeline for the community  
24 meeting which is tonight. As I said, this documentation  
25 for this has been available at the libraries and at the



1 website since the 26th of January. And we're here to try  
2 and get comments tonight. And we will leave the comment  
3 period open for basically another seven days so that,  
4 even after you leave this meeting, if you have questions  
5 that you'd like to have answered, if you will either  
6 provide them to us through the website -- there's  
7 information with the exact address for that website -- we  
8 will be able to take your comments and -- and address  
9 them as a part of this action.

10           And again, the public comment period for this  
11 document ends on the 28th of February.

12           UNIDENTIFIED SPEAKER: Next week.

13           MR. JOHNSON: Just a couple more slides and  
14 we'll move on here.

15           The Santa Susana Field Laboratory is a little  
16 bit less than 2900 acres and it was established in 1947  
17 by the North American Aviation as a test laboratory for  
18 large rocket engines and later expanded to a research  
19 facility for development of nuclear power.

20           Santa Susana is comprised of four discrete  
21 areas. The specific area that we're concerned with is  
22 Area 4. This is where the DOE operations occurred at the  
23 Santa Susana Field Laboratory.

24           This site is Area 4 and was established in the  
25 late 1950s time frame by the predecessor to DOE which is

1 actually the Atomic Energy Commission for nuclear  
2 research. Eventually, the research and testing shifted  
3 towards liquid metal components and other energy-related  
4 endeavors. The detail itself, the Area 4, is  
5 approximately 90 acres of the 2900-acre Santa Susana  
6 Field Laboratory.

7           The initial research for DOE on this site  
8 centered around nuclear power production for electricity  
9 and for spacecrafts. The research that's been conducted  
10 at ETEC mostly involved the development and testing  
11 components using metallic sodium systems.

12           This slide is just giving you an aerial view of  
13 the Santa Susana Field Laboratory. The thing that I'd  
14 like you to know here is that DOE nuclear operations  
15 ceased on this site in the 1988 time frame. And the  
16 focus at that time turned towards the cleanup for the  
17 site. And we're at the point now where we're at the last  
18 two radiological facilities on the site. And this is the  
19 first of the two EE/CAs that we'll be presenting to you.  
20 There will be another public meeting where we will  
21 present that facility as well for public comments.

22           And with that, I'm going to turn it over to Phil  
23 Rutherford. Phil will give you some details on the  
24 history of the site as well as some of the  
25 characterization, information on the facility, and also

1 present to you the options that we're going to do under  
2 this particular action.

3           Once Phil is done, I'll come back up. And, if  
4 you have any specific questions for me or Phil or anyone  
5 else on the team, we'll try to answer as many of those as  
6 we can tonight as well as to record your comments and try  
7 to disposition them as a part of the EE/CA process. And  
8 we'll talk about that a little bit more as well.

9           MR. RUTHERFORD: Thank you, Thomas.

10           Can everyone hear me well?

11           For those of you who don't know me -- and I know  
12 many of you do -- I worked for Rockwell International and  
13 then for Boeing for 28 years. I started off working in  
14 the De Soto facility down in Canoga Park working on  
15 nuclear reactor safety -- basically safety analysis and  
16 reliability analysis for the advanced sodium-cooled  
17 reactors that we designed for the DOE.

18           But then in 1990 I -- I moved up here to the  
19 hill to take part in the DOE remediation of the nuclear  
20 facilities. So I've lived in the West Valley for 28  
21 years, the last 20 of those in West Hills. I live with  
22 my wife and two sons about three miles away from the  
23 site.

24           What I'd like to do this evening is to summarize  
25 the history of Building 24. I'd like to give you a brief

1 history of SNAP program, which was involved in the  
2 operations of Building 24, and then discuss the EE/CA  
3 that we're here to describe by looking at the various  
4 alternatives that we looked at and discuss the preferred  
5 removal action alternative.

6           Next slide, please.

7           The SNAP program stands for Systems for Nuclear  
8 Auxiliary Power. They were systems designed to power  
9 satellites in the '60s. We started out our research and  
10 developments in the late '50s. There were several models  
11 or types of these reactors. They were uranium-fueled.  
12 They were cooled with NaK, which is an alloy of sodium  
13 and potassium. As I said, they were used to power  
14 satellites in the '60s.

15           We launched SNAP-10 in 1965. And that was the  
16 only U.S.-launched nuclear reactor. The Russians  
17 launched many reactors -- 24, I think -- some of which  
18 are still orbiting and some of which fell to earth.  
19 SNAP-10 is still orbiting, operated successfully and  
20 demonstrated the technology.

21           These photographs illustrate the reactor. It  
22 was actually very small. The reactor itself is here.  
23 It's like about a couple of feet across, and maybe 2 feet  
24 high. This was a SNAP-8.

25           SNAP-10, which was tested in Building 24 that

1 we'll be discussing this evening, is illustrated here.  
2 And again, the reactor is at the top here, which is shown  
3 blown up here, expanded.

4           This system here is the system used to convert  
5 the heating to electricity. They are electric generators  
6 and also the heat radiator. These systems were about 15  
7 percent efficient. And, therefore, approximately 85  
8 percent of the heat had to be radiated out into space.  
9 So that was the reason for these large radiators here.

10           Okay. Next.

11           This is -- is Building 24. It's a relatively  
12 nondescript building, as you can see. It is one of the  
13 last two remaining radiological facilities we have to  
14 clean up on the hill. We have successfully cleaned up 25  
15 of 27. They've been decommissioned, surveyed, sampled by  
16 Boeing and/or Rockwell. And then --

17           Oops. Well, we seem to have a little -- little  
18 technical issue here.

19           We have an alternate projector if need be.

20           This building that was constructed in 1960 and,  
21 as you can see, consists of a high-bay and associated  
22 office and equipment buildings.

23           The next slide shows the SNAP-10 reactor inside  
24 the building. Again the reactor is here and heat  
25 rejection system is here. Building was constructed in

1 1960. And it was used for testing SNAP reactors in a  
2 simulated space environment. And so the cells in which  
3 the reactors were placed were able to be sealed and  
4 evacuated. So we'll simulate the vacuum of space. So we  
5 not only tested the nuclear portion of the system but  
6 also the energy generation and also heat rejection.

7           Several -- Several different types of SNAP  
8 reactors were tested in this building. Several of the  
9 buildings on the hill we used for the SNAP program. And  
10 all of these have been decommissioned.

11           The reactors were very low power, approximately  
12 50 to 60 kilowatts electrical. That's about 1000th of 1  
13 percent the size of a typical commercial  
14 electricity-generating reactor. So, for instance, the  
15 amount of fission products or radioactivity that was  
16 generated during the nuclear process would therefore be  
17 this fraction of a typical radioactivity generated in a  
18 commercial plant.

19           Okay. Next slide.

20           This is what the building looked like inside.  
21 There were two cells: One here and one here. You see  
22 the thickness of the walls here. These walls ranged from  
23 nine foot in thickness to --

24           Is it two and a half feet?

25           The actual walls sealed two and a half feet, but

1 they were against the bedrock basically. All of this  
2 region is about three floors below ground. So the  
3 building that you saw in the previous slide was only the  
4 above-ground ancillary equipment. But the reactor itself  
5 was within these heavily shielded cells. So you see the  
6 operators here in the operating gallery monitoring the  
7 performance of the reactor.

8           Okay. Thanks.

9           This is what the interior of one of the cells  
10 looks like. You see that all the -- all the equipment  
11 has been removed, of course. The building itself is  
12 operational from 1960 to 1969. And after that all the  
13 equipment was taken out including the reactors.

14           The walls of the cells are shielded in aluminum  
15 rather than stainless steel in order to reduce the amount  
16 of radioactivity generated due to neutron absorption.  
17 However, there is neutron absorption in the shielding  
18 concrete and that has generated radioactivity. This will  
19 be managed and disposed of as radioactive waste.

20           So this little cartoon here illustrates neutrons  
21 being emitted from the reactor itself going through the  
22 aluminum and into the concrete. The exposure levels in  
23 these cells are relatively low at the moment. They're  
24 approximately ten times background or less than a hundred  
25 micro-R per hour. So one can easily walk inside there

1 without any -- any danger.

2           Okay. Next.

3           This is an example of one of the doors which  
4 rolls into the opening in order to seal the cells. You  
5 see it's nine feet thick, which is indicative of the  
6 thickness of all of the walls.

7           Next.

8           We took -- We took a concrete cores of the  
9 shielding concrete in 2004 in the floors and the walls  
10 and the ceiling in order to estimate the amount of  
11 radioactivity that's been generated within the remaining  
12 shielding concrete. And we found a maximum of  
13 9 picocuries per gram of Cobalt-60 and 105 picocuries per  
14 gram of Europium-152. These are neutron activation  
15 products that form when steel and -- and the material  
16 within the concrete absorb neutrons.

17           We determined that the extent of contamination  
18 or activation is within the inner 15 inches of the  
19 concrete and the remaining six or seven feet is  
20 noncontaminated. However, this will be -- will be  
21 confirmed during the -- the demolition.

22           We also looked for other activation products  
23 that we might expect -- Tritium, Europium-152, Iron-55,  
24 Nickel-63 -- and didn't find any of those contaminants.

25           We also sampled the soil in the bedrock



1 underneath the reactive vault, underneath the concrete  
2 floor, and looked for contaminants and didn't find any  
3 there. So that is a good indication that when we finally  
4 excavate the building itself, we shouldn't find any  
5 contamination. However, we would be doing a full MARSSIM  
6 design survey to look for all contaminants.

7           Okay. Next.

8           Okay. So which alternatives did we look at when  
9 we wrote the EE/CA? It's really pretty simple. We only  
10 looked at the two alternatives. The first one is  
11 required by the CERCLA process. And that's the no-action  
12 alternative. These were evaluated for effectiveness,  
13 namely, the -- the ability of the -- the action to  
14 achieve the objectives of the removal action. And the  
15 next slide we'll discuss what those alternative -- those  
16 objectives are.

17           We looked at the implementability, which is  
18 really just a way of saying how practical is the  
19 alternative. And then finally the cost.

20           So the no-action one is obviously highly  
21 implementable. It's easy just to do nothing. However,  
22 that won't achieve the objectives of removing the  
23 building and contamination. It will basically be  
24 ineffective.

25           The buildings and structures would remain

1 on-site and require surveys and maintenance over an  
2 extended period of time. And we've estimated that the  
3 cost would be approximately \$15 million over 30 years.

4 Now, the other alternative we looked at was the  
5 preferred alternative and that is the complete demolition  
6 and removal of the building and the disposal of all the  
7 materials off-site at disposal facilities.

8 The demolition is certainly technically  
9 achievable. It will be effective. It will be effective  
10 in removing all the radiological contaminants. And the  
11 approximate cost will be \$15 million including waste  
12 disposal cost. I'm sorry. \$5 million. I'm sorry.

13 Now, you might ask, Why do we look at only two  
14 alternatives? Since the -- Since the -- the removal  
15 action alternatives and objectives are to remove the  
16 contaminants and the buildings, this was the only real  
17 technically meaningful alternative.

18 Now, we could have looked at some -- something  
19 midway between these two, namely, removing all the -- all  
20 the contaminated concrete from within the building itself  
21 and then renovating the building and using it for other  
22 purposes. We've done that with several other buildings  
23 on-site. However, this particular building we have no  
24 use for. It would be somewhat difficult to remove all  
25 the concrete and still have the building to be

1 structurally intact, safe. And, therefore, we didn't see  
2 any point in looking at that alternative even though we  
3 actually considered it.

4           Okay. Next.

5           So what are all the removal action objectives?  
6 Again, pretty simple, pretty straightforward. It is to  
7 remove all the above- and below-grade buildings,  
8 foundations, and utilities, and the physical components  
9 associated with the building.

10           Furthermore, the intent is to remove all the  
11 potentially radiologically impacted soils which may lay  
12 beneath the building. As I've said, the limited amount  
13 of sampling we have done hasn't found any contamination.

14           And then ultimately, once we've excavated the  
15 building and there's a big hole in the ground, we would  
16 sample the remaining -- the remaining bedrock and soil  
17 using MARSSIM protocols, which is a survey technique  
18 developed by the EPA and the NRC and the DOE and the  
19 Department of Defense.

20           We would then bring in the Oakridge Institute of  
21 Science and Education and also the Department of Health  
22 Services to do a verification survey of -- of the hole to  
23 make sure there is no residual contamination.

24           Now, this is very typical in what we have done  
25 in previous remediation exercises. Some of you may

1 remember in 2004 we had a public meeting where we  
2 discussed the removal of Building 59, which was a very  
3 similar building. Again, it housed a SNAP reactor. And  
4 we had poster sessions and presentations on the -- on  
5 that program. And we successfully removed the building  
6 and all the basements between March of 2004 and September  
7 of 2004 in a six-month period between the rainy seasons.  
8 So we intend to do the same thing with Building 24.

9           Okay. Next.

10           So how do we assure that what remains in the  
11 soil and in the bedrock is safe? What's the health-based  
12 risk criteria?

13           Now, those of you who have been coming to these  
14 meetings before will remember that we have in the past  
15 used a 15-millirem-per-year dose limit which is typical  
16 of what is used, for instance, by the NRC and the rest of  
17 the Department of Energy and many of the state  
18 radiological organizations. 15 millirem per year was  
19 determined to be a safe limit.

20           We have decided for these last two buildings to  
21 switch to the CERCLA approach, and therefore, this is the  
22 objective which is in the -- in the EE/CA. And the  
23 objective is to lower the excess cumulative cancer risk  
24 to an individual from exposure to site contaminants in  
25 the soil to a nominal range of between 1 in 10 to the

1 minus 4 and 10 to the minus 6, which is between 1 in  
2 10,000 risk and a one in a million risk using 10 to the  
3 minus 6 as a point of departure.

4 Now, what does "point of departure" mean? It  
5 means that we will strive to detect all the radionuclides  
6 at this risk level -- and we'll see in a later chart.  
7 I'll give you the -- the soil concentration limits which  
8 are -- are -- are applicable to these two ranges.

9 So we will strive to meet that. We will  
10 certainly meet the range. And that will be documented  
11 and presented to the public in a future meeting.

12 Okay. Next.

13 Now, what are the Agency's roles here? The EPA  
14 obviously regulates the whole CERCLA process. We have  
15 EPA participation and oversight as described in the 1995  
16 joint EPA/DOE memo on the decommissioning which many of  
17 you are familiar with and which is in the Administrative  
18 Record.

19 The EPA reviewed and commented on the draft  
20 EE/CA. And their comments are incorporated fully and  
21 completely. They also specified what the removal action  
22 objectives would be in terms of the risk level that will  
23 be achieved.

24 The EPA will continue to participate in the  
25 program and review the final status survey and the

1 sampling plan for the final status survey.

2           The role of the DHS or the Radiologic Health  
3 Branch will be to do verification surveys following the  
4 removal of the building. Again doing the same process as  
5 had been done in the past.

6           Okay. Next.

7           So what -- what are the constituents of concern  
8 or the contaminants of concern that we're looking at?  
9 I've described that the primary radionuclides that we've  
10 found in the concrete are Europium-152 and Cobalt-60. So  
11 those are the primary radionuclides we would be looking  
12 at in the soil and the bedrock. However, we recognize  
13 that all these other isotopes are typically generated in  
14 any nuclear reactor. Typical fission products, for  
15 instance, are Cesium and Strontium. The other  
16 neutron-activation products include Helium, Europium-154,  
17 Iron, Nickel, Manganese, and Sodium -- Sodium-22. Now,  
18 we've included also Potassium-40 here. Now, that's a  
19 naturally occurring radionuclide which we will talk about  
20 later on.

21           The coolant in the NaK reactors was -- I'm  
22 sorry. The coolants in the SNAP reactors was NaK, an  
23 alloy of Sodium and Potassium. Now, the stable  
24 radioisotope of Potassium is Potassium-39. If it absorbs  
25 a neutron, it generates Potassium-40, then it will

1 potentially increase the normal levels of Potassium-40.

2 So we're also looking for that.

3           We'll also look for all the nuclear fuel  
4 material which was in the reactor, namely, the isotopes  
5 of Uranium. And we will look for all the transuranic  
6 elements which are potentially generated during the  
7 nuclear process including Americium and all the Plutonium  
8 isotopes. I would add that we typically -- we've always  
9 looked for all these items and isotopes in the past also.

10           Okay. Next.

11           Okay. Now, hopefully most of you can see -- see  
12 this table. I know it's a little small for people  
13 sitting in the back. But these are all the -- all  
14 constituents of concern that I listed on the previous  
15 charts.

16           This column is the concentration in units of  
17 picocuries per gram which is the equivalent of a  $10^{-6}$   
18 risk goal. That is the EPA point of departure. These  
19 are the corresponding levels which are corresponding to  
20 the EPA's  $10^{-4}$  risk level. So remember CERCLA has a risk  
21 range that we need to achieve. The EPA has stated that  
22 achieving anything in the risk range is fully protective  
23 of public health and environmental health.

24           So for most of the isotopes, almost all of these  
25 isotopes, one can achieve these kind of levels. Now,

1 there are two technical problems one has to overcome in  
2 achieving those levels. The first thing is that the  
3 radiochemistry lab that you send the soil samples to  
4 needs to be able to detect isotopes at those levels.

5           Now, for most of these they can readily detect  
6 these kind of levels. Some it would be a little bit of a  
7 challenge. For instance, for Europium-152, getting down  
8 to 0.04 may be a little difficult. We'll have to  
9 increase the count time. Something like naturally  
10 occurring Potassium-40. If one is to achieve 0.1, that  
11 may be a little difficult for a radiochemistry lab.

12           Just to put these numbers into comparison, if we  
13 look at the Potassium-40, for instance, 0.1, we can  
14 compare that with what we normally find in soil which  
15 could be anywhere between 10, 15, 20, maybe even 25  
16 picocuries per gram. One could compare it with the  
17 typical Potassium-40 one finds in most of the food we eat  
18 which varies between 1 and 10 picocuries per gram and our  
19 own bodies, because of course we eat the food which is  
20 generated by plants and animals that have grown in -- in  
21 the soil, and typically that contains about 1 picocurie  
22 per gram. So the cleanup standard here of 0.1 is  
23 actually ten times less than what is already in our  
24 bodies. So it's very low. Okay. I've probably bored  
25 you enough on that slide.



1           Let me show you this now. Now, this is a very,  
2 a very busy slide. And I'll try to explain what it's  
3 supposed to be showing. We've done a lot of soil  
4 sampling in our past remediation activities. Our primary  
5 contaminants of concern is Cesium-137, which is a fission  
6 product. If we find any contaminants in the soil at all,  
7 it is usually Cesium with lower amounts of Strontium.

8           So what you're seeing here is -- is the  
9 theoretical risk from the residual Cesium-137 in soil  
10 after remediation. And it shows that we have met the  
11 CERCLA risk range of  $10^{-6}$  and  $10^{-4}$  in every single  
12 remediation project we've had.

13           Let's look at a few specific examples. The  
14 Sodium Disposal Facility here, which again has been  
15 discussed in many of our public meetings, was excavated  
16 in the early 1990s and then later in 1999. We sampled  
17 the residual soil, and the Department of Health Services  
18 also sampled the soil. And based on what we found was  
19 left there after remediation, we calculated a risk level  
20 of 1 in  $10^{-7}$ , which is -- which is a factor ten times  
21 lower than the lowest level of the acceptable risk range.

22           If you look at the SRE area up here, the Sodium  
23 Reactor Experiment, we see that we've achieved a risk  
24 level of 3 times -- 3.6 times  $10^{-6}$ . The highest risk  
25 number you see on the map here is 1 times  $10^{-5}$ . Now, that

1 is 90 percent of the way towards the 10-6 level -- well  
2 within the acceptable risk range, all of these results.

3           Okay. Next.

4           Okay. So in summary, we are instituting a -- a  
5 process here, a CERCLA process which includes EPA's  
6 participation and review and oversight and also public  
7 participation and comment.

8           We've looked at the two alternatives: No action  
9 and our preferred alternative, which is the complete  
10 removal and demolition of the building and disposal  
11 off-site of all the waste so produced.

12           Let's see. Additional information is -- on the  
13 EE/CA is available in the administrative record. That's  
14 a --

15           Would you like to hold that up?

16           That's all the documents which are the basis of  
17 the EE/CA and which were used in developing the EE/CA,  
18 which includes both the regulatory requirements and also  
19 the specific site documentation including the core  
20 sampling and the historical site assessment which we've  
21 described in previous -- previous public meetings.

22           All this is available in the three public  
23 repositories: The Simi Valley library, Platt library in  
24 West Hills, and CSUN library, and also on the DOE  
25 website.

1           We are requesting public comments this evening  
2 either verbal or written. All those public comments will  
3 be addressed in a revision to the EE/CA. And that's --  
4 The revision will be also published on the website and  
5 put into the administrative record in the three  
6 repositories.

7           So with that -- I'm not sure we did our 20  
8 minutes, but we were close. We'll throw it open now for  
9 comments.

10           MR. SMYTH: One second, Phil. A couple other  
11 things beforehand. I just wanted to assure you guys --  
12 I know the presentation ran longer than advertised.  
13 We'll make sure that we provide ample time for everybody  
14 to provide comment, the comments that they'd like to.

15           Also want to introduce Guillermo Gonzalez in the  
16 back from Senator Feinstein's office. He arrived at the  
17 beginning of Phil's presentation.

18           And I omitted one way to provide comments. And  
19 I think Thomas addressed it in his presentation, but I  
20 just wanted to reiterate it. Tonight is not the only  
21 chance to provide comments. Officially, you were allowed  
22 to begin providing comments -- The public comment period  
23 opened in January 26. You can continue to provide them  
24 in writing through the mail at addresses that we'll make  
25 sure are up here. They're also in EE/CA. And they're in

1 the fact sheet that's a handout.

2           They're also -- I think one of the other things  
3 I was supposed to talk about and I forgot to in  
4 logistics, there's a revamped, revised, new DOE website  
5 on the Energy Technology & Engineering Center. And I  
6 think that web address is also available on the fact  
7 sheet. It's not in the EE/CA but it's on the fact sheet.

8           Any other ways to provide comments? Did I hit  
9 them all? Okay.

10           And in case you didn't see it, I had an example  
11 of what the comment page looked like out there in the  
12 hall. It's a little late to show you now after it's all  
13 wadded up. But that's what it looked like in case you  
14 want to provide written comment tonight.

15           I think what we'll try to do is see if there's  
16 an orderly progression to the microphone. If there's  
17 not, I'll ask you to raise your hand and I'll recognize  
18 you to go forward.

19           Dan. I'm not supposed to recognize you. It's  
20 different from the last meeting.

21           MR. HIRSCH: My name is Dan Hirsch. I'm  
22 president of the Committee to Bridge the Gap. And I'm  
23 outraged by both the abrogation of the law and by the  
24 substance of this proposal.

25           You folks have been given a dog-and-pony show

1 tonight, an hour of our time where they're supposed to  
2 listen to us. Instead, you've been listening to their  
3 spin and misrepresentations about what's being done.

4           Let me first talk about the claims Mr. Johnson  
5 made about trying to finally comply with the law. He  
6 mentioned a law called CERCLA -- that's Super Fund law --  
7 and a 1995 joint policy that DOE had committed to clean  
8 up all of this site consistent with EPA's Super Fund  
9 criteria.

10           For many years now, his department has thumbed  
11 its nose at that requirement. And now he's announced to  
12 us that for the last two buildings they will supposedly  
13 comply.

14           Well, that's false in two ways: One is they're  
15 not complying, as I will disclose in a moment; and  
16 secondly, under that joint policy, the entire site was  
17 supposed to be cleaned up consistent with EPA's criteria.  
18 And so they're saying we're going to clean out the rest  
19 of it. We're going to leave all that contamination  
20 behind. We have frozen you out of the public process for  
21 years. And for the last two little buildings we're going  
22 to pretend to let you into the process if you pretend  
23 that we complied with CERCLA and the 1995 agreement.  
24 When I say "pretend," let me give you a few specifics.

25           Those of you came to the meeting got this post

1 card. There's not a word on the post card about this  
2 document called the EE/CA, its availability or comment  
3 period expiring February 28. It invites you to come to a  
4 meeting.

5           When you arrived, you're given a copy of the  
6 EE/CA. As you sit here, you have no time to read it.  
7 They claim that the meeting is to get your comments on a  
8 document you can't possibly have reviewed.

9           They published -- The sole public notice was  
10 two fine-print ads in the newspaper. The first ad said  
11 If you want more information, go to a certain website.  
12 If you click on that website, you get emptiness. Doesn't  
13 work.

14           The second ad when you click on to go to the  
15 website, you do get their website. But if you did it  
16 when the ad ran, there is not a word about the EE/CA.  
17 They showed you a moment ago what the website shows  
18 today. For the first two weeks after the notice went out  
19 when you went to the website, there wasn't anything about  
20 the EE/CA on it. You would go to a section called  
21 "Cleanup," and it would open up a page that said, "Under  
22 Construction."

23           So they've asked you to comment on something you  
24 haven't seen. They're now telling you you have seven  
25 days to get comments in on this document and that

1 administrative record. They're telling you today. The  
2 handout that they gave out to you as you walked in said  
3 "How do I comment?" You can comment today on the EE/CA  
4 which they say they're handing out today -- and none of  
5 you can read it because you've been sitting here  
6 listening to them -- or you can send in comments within  
7 seven days.

8           Now, that's not what the CERCLA law requires.  
9 They didn't notify, to the best of my knowledge, a single  
10 state legislator or federal legislator about the  
11 availability of the EE/CA or the comment period. They  
12 didn't notify a single reporter. They didn't send out a  
13 press release. They didn't make a phone call. There was  
14 a mailing list that has been generated of everybody  
15 that's concerned about this site. They did not send out  
16 a mailing saying, We have a document. We have 30 days.  
17 They didn't send out copies of the document. Instead,  
18 they sent out a misleading post card saying, Come to a  
19 public meeting, without mentioning there is a document,  
20 how to find it, or the comment period. So they're  
21 pretending that this is a session for you to comment on.

22           And so my first request is that you comply with  
23 the law, that you renotice this, that you mail out to  
24 your mailing list a notice that there is this document,  
25 that it is available now finally on the website --

1           And I'd ask you to actually mail out the  
2 document and announce a 45-day comment period from the  
3 time people get it.

4           -- that you notify each legislative office of  
5 this matter as well, and that you notify the press. This  
6 otherwise is simply a sham. Two fine-print ads in the  
7 newspaper with links to websites that don't work and a  
8 public meeting where they tell you to comment on  
9 something that they handed a minute before you walked in.

10           Well, there's an old saying. This is a  
11 different kind of meeting. We have a transcriber.

12           MR. SMYTH: I was just going to ask if you  
13 wanted anybody to respond to your first --

14           MR. HIRSCH: No. This is my public comment. I  
15 hope that you will positively say, yes, we'll get an  
16 extension to the comment period so maybe documents may be  
17 available.

18           You mentioned that the administrative record is  
19 available now finally on the website and you just showed  
20 us the page. But when I went on the website, it tells us  
21 you have to go to the reading room, the library to see  
22 the administrative records. I'm not even sure that your  
23 statement that it's now available on the website is true.  
24 What you showed us on the website says the opposite. You  
25 can't get it from the website.



1 MR. SMYTH: We'll -- Okay.

2 MR. HIRSCH: Excuse me? We had a notice issued  
3 on January 26 or January 27 that there was a 30-day  
4 comment period on the EE/CA and to go to the website to  
5 obtain it. It was not on the website at that time at  
6 all. Okay?

7 Now, let's get to the substance of what they're  
8 proposing. And they've slid over it really beautifully,  
9 really beautifully.

10 The first thing that Phil Rutherford told you is  
11 they're going to get rid of all the radioactivity. All  
12 the contamination is going to be removed. But then he  
13 shows you a chart showing how much radioactivity they're  
14 going to leave behind.

15 He told you that the Environmental Protection  
16 Agency has signed off on this. False. EPA in December  
17 of 2003 issued a detailed letter which they continue to  
18 stand by saying that this site will not be safe at least  
19 for unrestricted use, which is their plan to make it  
20 residential; that they have not adequately characterized  
21 the site; that the only safe use would be limited day  
22 hikes with restrictions on picnicking; and that they have  
23 not followed the EPA requirements for cleanup; and that  
24 they are not using safe and protective cleanup standards.  
25 None of it has been revoked by EPA. They told us just in

1 the last days they stand by that letter.

2           DOE has ignored all of those EPA comments. In  
3 January, EPA issued a second letter dealing with this  
4 particular project, not with any of the prior projects.  
5 It says that this EE/CA -- E-E-C-A, which is a term of  
6 CERCLA -- violates EPA's guidance on how you're supposed  
7 to do these kind of cleanups.

8           DOE has not done anything to fix that. It  
9 continues to violate it. It continues to issue what they  
10 call a streamlined EE/CA. Let me tell you what is meant  
11 by "streamlined."

12           The fundamental principle to EE/CA is that it's  
13 supposed to identify the proposed cleanup level, how much  
14 they're going to leave behind of the radioactivity so the  
15 public can comment on it.

16           The actual EE/CA that they've given us here  
17 says, After the comment period expires a, quote, unquote,  
18 risk management decision will be made as to how much  
19 radioactivity to leave behind. Doesn't say who will make  
20 it. Doesn't say how or what criteria. It simply says  
21 that someone after you no longer have an opportunity to  
22 comment will decide how much radioactivity to leave  
23 behind. And as Phil has indicated in their presentation,  
24 their intention is to leave a hundred times as much as  
25 the table that he's shown you in that slide.

1           Is it possible to get that table again, the one  
2 that appears on the notice?

3           Let me tell you what he didn't tell you. First  
4 of all, he said that that is the EPA's 10-6 risk goal.  
5 It's false. EPA has said over and over and over again  
6 that these numbers -- the numbers you need for  
7 Americium-241, Cobalt-60, and so on -- has to be based on  
8 the land use that is feasible for this property and that  
9 would reduce the greatest exposure.

10           This land is zoned RA-5, Rural Agricultural 5 --  
11 small ranchettes where you can have goats and gardens and  
12 orchards, which is in fact the use for a number of people  
13 around the site at present. It is the current zoning.  
14 Under EPA guidance, you have to use that current zoning  
15 if that produces the most restrictive doses, the most  
16 restrictive cleanup.

17           What Phil didn't tell you is that these numbers  
18 here are not based on current zoning, not based on RA-5,  
19 but are based on suburban residential and that these  
20 numbers are a hundred times higher from many of those  
21 radionuclides than what EPA would permit.

22           Instead of being a 10-6 risk, as he says up here,  
23 most of those numbers are in fact 10-4, a hundred times  
24 higher risk already as a point of departure. That means  
25 that the column to the right, which is what Phil is

1 really going to end up at, is a hundred times higher than  
2 what he claims is the EPA goal, which is already a  
3 hundred times higher than what the EPA goal really is,  
4 that the actual cleanup that they are contemplating is  
5 10,000 times more radioactivity than the EPA would  
6 normally permit.

7           But they're not going to let you comment about  
8 it, first of all. Second of all, they're not going to  
9 tell you the truth about it. And third, the actual  
10 decision is to be made, quote, unquote -- see if I can  
11 find the quote -- "After the comment period is all over,  
12 quote, a risk management decision will be made."

13           The purpose of CERCLA is to have the public  
14 involved in this management decision. The purpose is to  
15 be able to have you have a say in how much radioactivity  
16 is left behind. So despite the claim that they finally  
17 complied with CERCLA, the EPA guidance, they continue to  
18 ignore EPA's past comments and they continue to evade  
19 EPA's guidance both on public participation -- the straw  
20 to have you comment on something you haven't seen, but  
21 the substance as well.

22           Let me tell you a couple of other problems with  
23 this document which if you had had a chance to read you  
24 would still have trouble finding it because it's buried.  
25 They intend to release the contaminated -- radioactively

1 contaminated material, send it not to a licensed  
2 radioactive waste disposal site but to an unlicensed  
3 facility neither licensed for radioactive material nor  
4 designed for them.

5           They will say in the document they're going to  
6 call everything in the building and all of the soil that  
7 is beneath the top cleanup level, the one that is the  
8 least protective -- anything between that and background  
9 they're going to call something that is decommissioned  
10 material which means radioactively contaminated but which  
11 they're going to evade the law that that stuff has to go  
12 to a licensed facility. It appears likely that it will  
13 be sent to a place called Buttonwillow which is a place  
14 where there is a long history of environmental justice in  
15 the central valley. They may send it elsewhere.

16           You probably remember that they got into a lot  
17 of trouble because they were sending some of this to  
18 local landfills -- the Sunshine Canyon, Bradley, and  
19 Calabasas. Without disclosing it, without telling you  
20 the implications they are now saying they're going to  
21 distribute most of the radioactive waste where there is  
22 no assessment of the environmental impact. Just silent  
23 about that.

24           One other matter, they do put in a table --  
25 It's a false table based on the wrong scenario. They

1 misrepresented it, but they do put in a table of what  
2 they're going to be looking for in terms of their initial  
3 sweep for the dirt in contaminated soil. But they don't  
4 even put any cleanup standards for the building. You're  
5 asked to comment on cleanup of buildings and they don't  
6 even put into the document what the standard is for  
7 cleaning up the building. That's hidden from you as  
8 well.

9           So Phil said that EPA's position is that  
10 anything in that risk range from 1 in 10,000 to 1 in a  
11 million risk -- anything in that -- is protected. You  
12 can go anywhere you want to in that risk range. He  
13 clearly intends to go to the highest, to the 10-4 level,  
14 which I told you is really 10-2, which means one in a  
15 hundred. Every hundredth person would get cancer,  
16 grossly outside of what has ever been permitted for  
17 carcinogen.

18           But he says that EPA says that's fine, that you  
19 can do it anywhere in the risk range and that's false.  
20 The EPA CERCLA guidance is clear. And they say they're  
21 going to try to comply with it for once. They aren't.  
22 The EPA guidance is clear. If you can't meet 10-6 risk, a  
23 one in a million risk, you can fall back somewhat if you  
24 can show you really can't meet it. But you can only fall  
25 back to the absolute minimum necessary. And you

1 demonstrate it by balancing a nine balancing criteria on  
2 the CERCLA. And to do that balancing, there has to be  
3 public participation. And you have to get as close to  
4 the 10-6 as you can.

5           But Phil described it, "We can do anything we  
6 want to between 10-6 and 10-4," which means when he told  
7 you that no longer is it 15 millirem, they're intending  
8 to do the same they thing they always planned to do --  
9 leave these huge quantities of radioactivity behind.

10           Now, they have also said that the fundamental  
11 sin in environmental law is to artificially segment an  
12 analysis of environmental impact. Do you know that there  
13 has never been an environmental impact statement done? A  
14 quarter of a million dollars in the only place in the  
15 world there has been meltdown of a reactor. There has  
16 been serious accidents at three others on the property.  
17 They've got a Tritium plume in the soil. They have never  
18 done an environmental impact statement. And what they're  
19 now doing with this is they're segmenting, looking at one  
20 building, looking at another building and, now, looking  
21 that they claim under CERCLA but they're not going to do  
22 the rest of it under CERCLA and they're telling you  
23 they're going to leave the property sometime and release  
24 it for unrestricted housing. I'm going to make one other  
25 point at the moment and then I'm going to stop. I want

1 to let other people come. I want to get my stuff in the  
2 record. I know you're going to be frustrated because the  
3 record is asking you to comment on a document you weren't  
4 permitted to see.

5           But one other comment: Phil told you that there  
6 were only two alternatives possible. And what he said  
7 was our way or no way. Clean it up the way they're  
8 proposing, which is to very lax standards -- huge risk --  
9 or not clean it up at all. Pretty remarkable that those  
10 are the only two choices.

11           Those aren't the only two choices. The real  
12 choices are to clean it up consistent with CERCLA, to  
13 clean it up consistent with the current zoning, to clean  
14 it up to as close to 10-6 as is humanly possible.

15           So he's told you, We want to leave a ton of  
16 stuff behind and your choice is to let us leave the ton  
17 of radioactive stuff behind or let us leave all of it  
18 behind.

19           Those aren't the two choices and that violates  
20 CERCLA also. It makes a mockery of attempting to comply  
21 with public participation. It misrepresents that EPA has  
22 signed off. It misrepresents that the public has had  
23 meaningful comments. It says, for example, that we will  
24 after the comment period is over figure out how we're  
25 going to measure for these radioactive materials, but the



1 public will be frozen out of that as well.

2           It says that EPA has signed off on all these  
3 public comments. False. It said that EPA had to review  
4 the sampling analysis plan that's supposed to be done  
5 before the cleanup starts. Boeing, DOE, same thing  
6 changed that despite what EPA had demanded. So EPA now  
7 doesn't get to comment about the sampling before it's  
8 done in terms of the finding of the contamination, it  
9 only gets to comment about the post-cleanup final survey.  
10 EPA gets to at least comment on that one. You're frozen  
11 out of both. And this is with a company that is a  
12 convicted environmental felon indicted by an  
13 environmental grand jury, pled guilty to multiple  
14 environmental crimes, has a history of fabricating its  
15 radiation and chemical data. And so you're left out of  
16 that as well. And none of the protocols are in the EE/CA  
17 to even available to comment. But they're pretending you  
18 have input. So it's a fraud and people will be hurt,  
19 injured, die because their intention is to leave vast  
20 amounts of radioactivity behind and then put homes on top  
21 of it, which EPA has said is unsafe and yet it's been  
22 characterized now as if it's okay.

23           Okay. I'm going to sit down. And you all  
24 should comment if you can. But I would urge you, if you  
25 feel you can't comment meaningfully because you're handed

1 a document as you walked in and ask for that extension  
2 and ask for them to mail that out to everybody and ask  
3 that they start disclosing in the document the true  
4 aspects of the cleanup that you ought to be able to  
5 comment on rather than hiding them until after the  
6 comment period is over so that you really haven't had a  
7 chance to comment on it at all.

8           That's enough for me. Thank you.

9           MR. SMYTH: Response or just -- Do you have  
10 anything you want to say Thomas or just more comment?

11           MR. JOHNSON: Well, we'll take everything that  
12 Dan has said under advisement. It's there in the  
13 records, so I'll go through them. It's kind of hard for  
14 me to follow the many claims that Dan made during his  
15 speech.

16           A couple things that I'll absolutely respond to  
17 right now saying that we did not provide this EE/CA in  
18 good faith. And I would say to you that that's  
19 absolutely false. We did provide this document in good  
20 faith. We did provide the document to EPA for their  
21 review and their comment. And I know that as a matter of  
22 fact, through my multiple discussions that I had with the  
23 EPA representatives for this document.

24           Now, where Dan gets the source of his  
25 information I'm not exactly sure, but I know from my

1 multiple discussions with the EPA representatives they  
2 had an opportunity to comment on the document as it  
3 exists today.

4 MR. HIRSCH: I just want to clarify for the record  
5 because we have a transcript and this is probably going  
6 to end up in court.

7 I didn't say you didn't give it to the EPA. I  
8 said you didn't give it to the public. I said you  
9 ignored EPA's prior comments. The EE/CA was not up on  
10 the website when you published the ad, the URLs on the ad  
11 didn't take you to the proper website. You didn't  
12 mention the EE/CA in the mailing that was sent out to the  
13 public, its availability, comment period. You handed it  
14 to the people as they came in today. You didn't try to  
15 stimulate news stories, and you didn't notify the  
16 legislators.

17 So all you did was place two ads in fine print  
18 in newspapers with incorrect information in them and then  
19 hand stuff out to people as they walked into a meeting  
20 and comment, and if you can't comment now we'll give you  
21 seven days. That's what I said. I didn't say you didn't  
22 give it to the EPA. I said you didn't give it to them.

23 MR. SMYTH: Okay. Next. Sir...?

24 MR. McLAIN: My name is Bob McLain (phonetic).  
25 And I worked at North American Aviation, Rockwell

1 International, and Boeing for 42 years. I started out in  
2 the Reactor Physics Group which is next to the sodium  
3 fire disposal area. And I worked in Building 24 during  
4 the latter part of its existence.

5           And one comment I'd like to make is during the  
6 operation and sodium graphite reactor facility we had the  
7 air monitor go off in the control room and we traced the  
8 cause of that to a Russian nuclear explosion atmospheric  
9 test in Siberia. And that's the only time that that air  
10 monitor went off except for calibration when you put a  
11 source up to it.

12           I was responsible for all the research  
13 electronics for several facilities on the hill. I did  
14 experiments in fast critical reactor, the sodium graphite  
15 reactor. I did debugging and repair of modification to  
16 the nuclear instrumentation for the helium reactor in  
17 Lincoln, Nebraska, where we had -- The problem we solved  
18 there was they had 600 instrument scrams during the  
19 operation due to statistical noise in the electronics  
20 and also over thermal -- over thermal temperature  
21 gradients in the reactor.

22           The problem with this was all of these were  
23 false alarms because the -- the plant protective system  
24 was an analog computer that was based on magnetic  
25 amplifiers which were powered by line voltage. And

1 during the summer storms there, they had -- all of a  
2 sudden you go along, you have one volt drop on the line  
3 voltage which got -- when it was amplified by the  
4 magnetic amplifier, it would tell it was a 600-volt --  
5 degree transient other a reactor and it would shut it  
6 down. So we -- we went through that. So I had that  
7 experience with nuclear design.

8 I designed the electronics for the Loose Parts  
9 Monitoring System for nuclear reactors and that was the  
10 system that traced the hydrogen bubble during the Three  
11 Mile Island reactor. I designed the electronics for the  
12 Atomics International Loose Reactor Inspection System for  
13 using all sign testing. I designed that. I designed --

14 MR. SMYTH: I don't mean to interrupt you, sir.  
15 You have an amazing technical background. Do you have a  
16 comment on Building 24?

17 MR. McLAIN: Yes.

18 MR. SMYTH: Okay.

19 MR. McLAIN: So during -- The questions I have  
20 are something that was brought up. I wasn't here to be  
21 available here during the last thing. I was undergoing  
22 chemotherapy. And during that day that I wanted to come  
23 I had one of those pumps on me. And the thing that  
24 concerned me then was why one of the reasons I came that  
25 I was told by the nurse Lorraine that took the pump off

1 that she was also treated somebody for Cesium poisoning  
2 at -- from Rocketdyne. And I don't know where she got  
3 this information. But it gives me great concern. And  
4 also it gives me great concern when I reviewed the -- the  
5 epidemiology study that was done on -- I was one of the  
6 basis -- or one of the principals in that study and then  
7 they threw out everybody's radiation data before that was  
8 off-site that had nothing to do -- you know, and the  
9 person that operated the sodium graphite experiments --  
10 experiment -- sodium SRE, during the so-called meltdown,  
11 the director of operations at that time had 73 man-years  
12 of radiation and 71 of them were received at the -- at  
13 the University of California Radiation Lab, you know, at  
14 Berkeley. And all the nuclear reactor operators on the  
15 hill came from the navy submarine program for the most  
16 part.

17           And I'd like to ask you, How do you escape  
18 nuclear radiation from the -- when you're on a submarine?

19           So they throw out all this data. So to me the  
20 person that had all this radiation exposure, most of it  
21 off-site, that was thrown out of this so-called  
22 epidemiology study retired at 68 --

23           UNIDENTIFIED SPEAKER: We need to keep this  
24 focused on Building 24.

25           MR. McLAIN: Well, I know, ma'am.

1           MR. SMYTH: I understand, ma'am.

2           MR. McLAIN: But when somebody gets up and  
3 refutes, because I worked in that building. And I want  
4 to finally get to my experience --

5           UNIDENTIFIED SPEAKER: What type of cancer do  
6 you have?

7           MR. McLAIN: I had colon cancer but it had  
8 nothing to do with radiation.

9           MR. SMYTH: Sir, because the purpose of the  
10 meeting is Building 24 disposal, if you could --

11          MR. McLAIN: Okay.

12          MR. SMYTH: If there's other topics you're  
13 interested in talking about, we'll write them down and  
14 try to focus them at --

15          MR. McLAIN: The main focus is when I saw the  
16 comments that were up there that that building is like it  
17 was a big -- that was a -- it was a very short-lived  
18 reactor program because right after it -- that building  
19 started up, they did very few low-powered experiments and  
20 then the programs were over. And I did an experiment  
21 called the SNAP-Tran (phonetic) and where we used the  
22 cell because of the radiation shielding of that cell, we  
23 did an experiment there where I had to take my measuring  
24 electronics and put it inside shielding blocks inside the  
25 cell because of it, you know. And we used the operating

1 reactor instrumentation. And the biggest problem we had  
2 there, that they had somebody wire up the stuff that was  
3 color-blind and so that was the worst problem we had at  
4 that. But the facility was used as a analog laboratory,  
5 as a machine shop for the general purpose of the hill.  
6 And there was no -- And I was -- used that building and  
7 there was no problem with anything.

8 MR. SMYTH: Okay. Do you have any other comment  
9 on the proposed demolition?

10 MR. McLAIN: Yeah. There was one other comment  
11 I have is -- is -- is there anyway of including radon  
12 background from the building in these tables?

13 MR. SMYTH: Okay.

14 MR. McLAIN: Because this is the thing that the  
15 risk factor I think is because I'm very familiar with  
16 what went on because I worked at the CT facility on the  
17 hill when most of this stuff were on, and I just saw it  
18 on the -- as at the side and I know --

19 MR. SMYTH: So if radon can be included as a  
20 contaminant of concern?

21 MR. McLAIN: No. I'm just saying I don't see  
22 how you can clean up this building to so-called EPA  
23 standards without and then get below background --

24 MR. SMYTH: -- because of radon?

25 MR. McLAIN: -- because of radon.



1 MR. SMYTH: Okay. Okay. Thank you.

2 Liz?

3 MS. CRAWFORD: Hi. My name is Elizabeth  
4 Crawford. I run the website rocketdynewatch.org. I also  
5 educate physicians for social responsibilities. I worked  
6 for Ventura County Supervisor Linda Parks for two and a  
7 half years as her environmental specialist. And I  
8 represented the communities of Bell Canyon and Ahmanson  
9 Ranch.

10 Been following this for about 6 years now. And  
11 I have to say that I unfortunately echo Dan's opinion  
12 which is, you know, same old stuff, different day.

13 Anyway, I would like to start out by saying, we  
14 were told by the Department of Energy that Mike Lopez was  
15 fired for obstructing public participation answering for  
16 your requests and so forth. And then they said, Oops, I  
17 guess we shouldn't have said that.

18 So I hope that it does indeed represent a new  
19 era in change in the DOE and Boeing's approach to this  
20 whole site. And I would say unfortunately this doesn't  
21 bode well for a new opening leaf. I have to say, again,  
22 that this whole notification process is certainly less  
23 than satisfactory. In six years, I've certainly never  
24 seen less notification for a plan or a meeting or  
25 anything like that and especially something as critical

1 as one of the two remaining buildings on-site.

2           Ordinarily, in case you don't know since you've  
3 just been on this site for a month -- I don't know how it  
4 works, but the process that has been followed, the  
5 process that I understand that is legal by under CERCLA  
6 and that has been operating here is you notify the  
7 stakeholders that there is a plan, you tell them where  
8 they get the plan, and you let them know when the clock  
9 starts running. So I would have to say definitely on  
10 behalf of everybody here I would urge very strongly that  
11 DOE indeed institute a 45-day comment period so that  
12 indeed now that we know there's a document, now that we  
13 have it we can actually go home and in a reasonable  
14 amount of time absorb the information, make our comments  
15 in the way that we're used to making comments, in a way  
16 that is indeed consistent with established California and  
17 federal law. I think that would go a long way towards  
18 showing how DOE does indeed approach this process.

19           I would like to say also, this is a  
20 non-time-critical cleanup. And I'm kind of wondering,  
21 What's the hurry? We have a document here -- one of the  
22 operating licenses says that decommissioning and  
23 decontamination of the site was done, finished in 1978.  
24 And then it said it is assumed this -- this building will  
25 stay here for a very long time to allow it to cool down.

1 And I'm sure that when you look at the lives of these  
2 radionuclides, some of them lasting 250,000 years, that  
3 16 or 19 years is really not what they had in mind when  
4 they say a very long time to let it decay. So I would  
5 like to put that on the record.

6 I would like to point out in case anybody hasn't  
7 seen it that I think that the DOE puts a sharp point on  
8 their new banners. Check out some of their cleanup  
9 sites, and it says, "Making accelerated cleanups a  
10 reality." What's the fastest way you know to accelerate  
11 a cleanup? It's not by pouring more money into it. It's  
12 not by running more tests. And it's not by cleaning it  
13 up. It's by declassifying stuff from high level to  
14 medium or medium to low and calling it something that  
15 it's not and then disposing of it in the Calabasas  
16 landfill. There SNAP reactor buildings going to the  
17 Calabasas landfill. No kidding. That's what they're  
18 saying.

19 Okay. So you really need to get your head  
20 around what they're talking about here because the scope  
21 of this is just astonishing. "Making accelerated  
22 cleanups a reality"? How about safe cleanups, we don't  
23 care how much it costs? In dealing with easily a dozen  
24 different agencies -- state, federal, county, local,  
25 community-based, homeowners associations -- in my life

1 I've never seen anything put out by any agency supposed  
2 to be in charge of our protection that has the word cost  
3 analysis associated with it.

4 High risk management. Words say everything and  
5 you guys are wearing it all over your sleeve. What's  
6 fastest, what's cheapest, what's quickest, and what's  
7 gets us the heck out of here the fastest. You're coming  
8 into a very nasty situation, sir. I really don't feel --  
9 I'm sorry. You really are being walking just into a  
10 malestrom here.

11 I would like to say -- again, duplicate what Dan  
12 said about the sort of shell game that was played with  
13 the numbers in terms of residential versus rural versus  
14 industrial. That's exactly what it is. It is a numbers  
15 shell game. I would like to see DOE use only residential  
16 EPA standards as the only measurement here because that's  
17 the only bank of numbers that we can trust.

18 Why are the DOE offices on-site now at SSFL?  
19 And can somebody please explain to me what the difference  
20 is between you guys? because you sit together, you eat  
21 together, you talk together, you work together. And we  
22 can't see any difference. Maybe there is a difference.  
23 I'd like to have enunciated and, more importantly, I'd  
24 like to be told where the divisions and where the  
25 separations are.

1           MR. SMYTH: Liz, just for clarification, you  
2 mean between DOE people or between DOE and Boeing?

3           MS. CRAWFORD: DOE and Boeing. We can't tell  
4 the difference. Can somebody please explain the  
5 difference between the two roles? Somebody? Phil?

6           MR. SMYTH: You're asking -- That's a question?

7           MS. CRAWFORD: Somebody. Can somebody please  
8 explain? because this is a new change. Is it DOE has  
9 moved on-site to SSFL? It's a little odd, so I'd like  
10 you to give you this opportunity to get that question  
11 answered.

12          MR. JOHNSON: That one question?

13          MS. CRAWFORD: That one question. Everything  
14 has been a comment on that point. This is number 5.

15          MR. JOHNSON: One of the reasons why I'm here or  
16 why DOE now has a full-time presence on that site is that  
17 we want to focus on the cleanup and finish up the  
18 remediation there on that site. Some of the remediation  
19 there is taking considerable length of time. That site's  
20 operation ceased in '88. And we're sitting here in 2007  
21 and there are still several facilities there on that  
22 site.

23          MS. CRAWFORD: And may I add that there is  
24 screechingly little information and documentation on what  
25 happened to all of the other buildings until EPA got

1 involved. That was part of what we were asking Mike  
2 Lopez for. So actually there has not been much  
3 disclosure about what happened until then. So it's just  
4 like we've only got a very brief glance about what has  
5 been going on up there. So that's why we're extra  
6 careful about the last little bits of it.

7 MR. JOHNSON: I'm here and I'm not going  
8 anywhere. So you're going to see me quite often as we  
9 try and clean up the site. My responsibility is to make  
10 sure that the public is involved in the cleanup process.  
11 In spite of what may have happened there in the past, it  
12 is my responsibility and the Department's commitment that  
13 the public will have an opportunity to comment on the  
14 work that we're doing there on that site. And this was  
15 the first attempt, first project that I had there on that  
16 site. And I'm trying to make sure that it happened.  
17 There have been a number of claims here through the night  
18 or throughout this evening as to how much -- whether this  
19 is a sham or not -- it's not a sham. We really are  
20 trying to involve the public in the process.

21 MS. CRAWFORD: You understand how you've  
22 really -- I'm sorry -- stumbled out of the starting block  
23 on that one? That was not public notification.

24 MR. JOHNSON: I've heard the comment.

25 MS. CRAWFORD: Yeah. Okay. I mean, it violates

1 the law and it's, you know, really disingenuous. I mean,  
2 just for the future, I'm just trying to tell you why we  
3 are so upset at that because it doesn't follow CERCLA law  
4 and it doesn't follow the precedent that has been  
5 long-standing in this community about proper mailing,  
6 proper notification about 30-day comment periods, about  
7 the availability of documents that you know impact the  
8 site. It's extraordinarily important and I can't urge  
9 you strongly enough to agree to a 45-day extension to  
10 hopefully rectify the problem.

11           Anyway, and maybe it was a comment about the  
12 seeming indivisibility between Boeing and DOE, but I  
13 would -- I would say that this is a grand step up from  
14 what we have been subjected to in the prior DOE meetings  
15 in the last few years which is a set of posters, cookies,  
16 and no opportunity to get questions answered. So this  
17 really is a wonderful opportunity and we really  
18 appreciate that you turned this format.

19           And so I would just say this -- this -- it's a  
20 streamlined EE/CA. You can't stream anything --  
21 streamline anything. I'm sorry. Not in this community.  
22 Not on this site. Not on this project. Cross all the  
23 Ts, dot all the Is.

24           I did download four copies of the EPA comment  
25 letter January 11 on this plan. And they do say you're

1 streamlining. They do say you're not following CERCLA.  
2 They do say that your standards are not  
3 EPA-cleanup-compliant with residential use, which is what  
4 they have been on record for the past seven years as  
5 doing. So I have to back up everything that Dan said  
6 because the facts do speak in his favor.

7 Thank you very much.

8 MR. SMYTH: Thank you, Liz.

9 And a couple -- Just a second. I have a couple  
10 things to say. In case anybody hasn't noticed, there's a  
11 line forming if you want to speak at the microphone.  
12 I've also -- A member of the audience asked me if you  
13 guys -- if you want to, you certainly don't have to --  
14 when you identify yourselves, if you could also identify  
15 your technical background. The comment was they're not  
16 sure where the comments are coming from.

17 MR. HIRSCH: Who said that?

18 MR. SMYTH: A member of the audience.

19 Go ahead. Certainly up to you whether you want  
20 to identify your background or not.

21 MS. KLEA: My name is Bonnie Klea, and I'm a  
22 former worker on the SNAP program and a cancer survivor.  
23 And I'd like to say I support everything that Liz and Dan  
24 said. We need a longer comment period. And also I'd  
25 like to reprimand you people for not putting any notices



1 in the papers in the San Fernando Valley. Not the Daily  
2 News and not the Los Angeles Times. And your report said  
3 that you were going to do that and you didn't.

4           Anyway, I have a series of questions. I'd like  
5 to know how would you be cutting up the concrete so it's  
6 of size to move when there is no hot lab to protect the  
7 process? The hot lab is gone and the hot lab was used in  
8 the past to cut up concrete so it could fit on a truck  
9 and be taken out. Now, how are you going to -- how are  
10 you going to make these pieces down to a size that's --  
11 that you can transport and protect -- protect the air,  
12 protect the workers and protect the community?

13           MR. SMYTH: Okay. Let me speak to see who  
14 Thomas wants to have answer that.

15           MR. RUTHERFORD: Hi, Bonnie. How are you?

16           MS. KLEA: Hi, Phil.

17           MR. RUTHERFORD: When we did the Building 59  
18 excavation in 2004, we had a similar -- a similar  
19 projects requirements in that we cut up the concrete into  
20 blocks. We did air monitoring to assure there was no  
21 airborne contamination generated.

22           MS. KLEA: Are their records of that air  
23 monitoring?

24           MR. RUTHERFORD: Yes, indeed there are.

25           MS. KLEA: Okay.

1           MR. RUTHERFORD: And we -- we disposed of the  
2 concrete blocks to the Nevada test site which is a  
3 low-level waste facility. We did not need to do it in a  
4 hot lab. The Building 24 contaminated -- some concrete  
5 is much less contaminated than the 59 was. So it's less  
6 of a hazard when you demolish it. In fact, in this case,  
7 it would be rubblized within the building itself before  
8 the building is torn down, so it would be rubblized  
9 within the cells. Remember they are 9 feet thick. And  
10 then they'll be container- -- containerized and then  
11 shipped off-site to the Nevada test site.

12           MS. KLEA: Now, I read that, in 1978, 2000  
13 square feet was already taken away from that building.  
14 Do you know where that went and what was removed?

15           MR. RUTHERFORD: I'm not familiar with that.  
16 But I am familiar with what was taken away in 2005. That  
17 was a material that the Dan was referring to.

18           MS. KLEA: No. This is 1978.

19           MR. RUTHERFORD: Let me -- Let me check on  
20 that. I'm not familiar with that reference that you  
21 cite.

22           MS. KLEA: Okay. Just stay there. Where are  
23 they going to get the backfill from to fill in this site?

24           MR. RUTHERFORD: The backfill will be piled up.  
25 It will be sampled. If we verify that it's clean, then

1 it will be used as backfill.

2 MS. KLEA: So you're just going to take it from  
3 the same area to backfill it, surrounding the reactor?

4 MR. RUTHERFORD: We will sample the soil. And  
5 if it's verified that it is not contaminated, then we'll  
6 just put it back. If it is contaminated, then we will  
7 use -- use backfill from an off-site, borrowed site.

8 MS. KLEA: Okay. Now, there have been studies  
9 done that the route of transport for this stuff has a  
10 high cancer rate. Can you tell us which route will be  
11 used?

12 MR. RUTHERFORD: We used the route -- Are you  
13 familiar with the neighborhood obviously? We will be  
14 driving down Woolsey Canyon. And we will then either go  
15 through Chatsworth Lake Manor, through Plummer, and make  
16 a left on Topanga Canyon, north to the Simi Valley  
17 Freeway. We'll head east to Highway 5. We'll go north  
18 on Highway 5, and then on to Highway 14, and then across  
19 the desert to the Nevada test site in Nevada. So that's  
20 one option.

21 Another alternative is to -- to go along Roscoe  
22 Boulevard on Topanga Canyon and then the same route.

23 MS. KLEA: Any other routes?

24 MR. RUTHERFORD: No, those are the only routes.

25 MS. KLEA: Just those two?

1           MR. RUTHERFORD: Those are the routes that we  
2 take to the Nevada test site, and also similar routes for  
3 the decommissioned material if we send it to Kettleman  
4 Hills which of course is in the central valley. So,  
5 again, you'll go up Highway 5 and it's in the central  
6 valley.

7           MS. KLEA: Okay. Do you know the risk of cancer  
8 during the demolition for the workers and for the  
9 surrounding community? because I did read in the Tiger  
10 Team report that all demolition does release  
11 radionuclides to the community.

12           MR. RUTHERFORD: The risk is extremely low and  
13 controlled and managed. As I said, the radioactive  
14 concrete will be removed from the building while it is  
15 still intact. Okay?

16           MS. KLEA: But you have to saw it. Right? You  
17 have to saw it to make smaller pieces?

18           MR. RUTHERFORD: Some of it will be sawed. Some  
19 of it will be rubblized.

20           MS. KLEA: So there would be a potential release  
21 of dust?

22           MR. RUTHERFORD: -- within the sealed building.  
23 We'd be using normal dust suppression methods. We'll be  
24 doing air monitoring to ensure that the airborne  
25 contamination doesn't exceed the regulations.

1 MS. KLEA: Okay. Also, I'd like to add one more  
2 thing to my employment at the company. I spent two weeks  
3 ago five meetings with the Labor Department, and I met  
4 very few people that used to work at the site who don't  
5 have cancer. I met a lot of widows, and I met a lot of  
6 children who have lost their fathers. And I can tell you  
7 that there is an extreme amount of cancer among the  
8 employees.

9 MS. GARCIA: Hi. I'm here on behalf of Senator  
10 Sheila Kuehl. My name is Hilda Garcia to ask you to  
11 extend the public comment period so that people can have  
12 enough time to voice their concerns. Thank you.

13 MR. SMYTH: Thank you. Guillermo?

14 MR. GONZALEZ: Hi. I'm Guillermo Gonzalez from  
15 Senator Feinstein's office. And I think earlier it was  
16 referenced that the public comment period started on  
17 January 27. Our office was never made aware of that  
18 date. And I would also ask that the public comment  
19 period be extended. Thank you.

20 MR. SMYTH: Thanks.

21 MR. PARKS: Good evening. My name is Dan Parks,  
22 P-a-r-k-s. And I just have a couple of things to say.  
23 First of all, were any of you gentlemen that have all of  
24 these eloquent facts -- were you there when any of this  
25 was going on? Were you there?

1           MR. McLAIN:  Yes.

2           MR. PARKS:  Where were you?

3           MR. McLAIN:  I was on the hill in -- in working  
4 electronics all over the hill.

5           MR. PARKS:  You worked in --

6           MR. McLAIN:  I worked in Building 59, the SRE --

7           MR. SMYTH:  Gentlemen --

8           MR. PARKS:  I'm not going to argue.  I'm making  
9 my comment.

10          MR. McLAIN:  I was in Building 24.  I just made  
11 the comment.  Weren't you listening?

12          MR. PARKS:  Do you know me?

13          MR. McLAIN:  No.

14          MR. PARKS:  I got my certification there.  
15 Worked there about two and a half years in Building 24.  
16 Never saw you before.

17          Okay.  Sorry about that.

18          First of all, how many of you were really there  
19 to see what transpired during its peak years?  I predict  
20 that maybe one or two, possibly this gentleman.  I don't  
21 see anybody that I recognize.

22          There were numerous fires that went on there,  
23 especially in Building 24, Building 10.  And there were  
24 nuclear fires.  So you have to think that, Where did that  
25 contamination go at the time of the fire?

1           Sorry I'm not good at public speaking, but --

2           MR. SMYTH:  You're doing fine.

3           MR. PARKS:  -- I'm doing the best I can.

4           MS. KLEA:  Stay close to the mike.

5           MR. PARKS:  Okay.  There were numerous fires in

6 Building 10, 24, and Building 59.

7           That's about all I got to say.  You know, none

8 of you were there.

9           And incidentally, I do have some more to say.  I

10 was in health physics.  I was in health physics

11 department.  I was in reactor operations.  I received two

12 certifications for the Reactor Operations Department.  I

13 got my certification as a health physicist there to work

14 on the hill.  So I have a pretty good memory of what

15 transpired during that period of time.

16           One last comment is, I'd like to talk about the

17 De Soto facility.  Everybody seems to forget about

18 De Soto.  That's where a lot of nuclear work was

19 transpired.  And that's where the fuel was fabricated.

20 And nobody seems to be addressing De Soto.  8900 De Soto.

21 Look into that.  Thank you very much.

22           MS. CRAWFORD:  I'd like to answer that.  We have

23 asked time after time after time, Where are the operating

24 information on De Soto and also the Canoga facility

25 where they did tons of nuclear reactions?  And you know

1 what? We've been stonewalled for six years. Thank you,  
2 Mr. Parks, for bringing that --

3 MR. SMYTH: Actually, let's keep focused on  
4 Building 24.

5 MR. PARKS: Okay. There was a radioactive fire  
6 in Building 24. It was in the center vault. I was there  
7 the night it occurred. I know the people involved. I'm  
8 not going to say names, but I was there. But these  
9 things are never brought up.

10 And then there was a nuclear fire in Building 10  
11 where the SAPR was operating. I was an operator there at  
12 the time. So I think you guys should talk about those  
13 issues too.

14 MS. KLEA: Dan, what years were those?

15 MR. PARKS: I'm sorry. I'm not good with dates.  
16 I really don't have the dates.

17 MS. KLEA: '60s? '70s?

18 MR. PARKS: -- in the '60s. I don't have the  
19 exact date.

20 I went to work there right after the SRE fire  
21 happened. And I participated in the cleanup of the SRE.

22 And this gentleman spoke of the contamination of  
23 the Russian test. Sure, we picked it up daily. But that  
24 was just part of the background. In the fires and the  
25 various incidents that happened, they're much more



1 catastrophic that you guys really are even aware of  
2 because you weren't there.

3           And we talk about log books. Log books will  
4 give you so much data on what happened in each of these  
5 facilities. So don't discount them. I don't know  
6 whether we've ever found them, but everyone had a log  
7 book. And the shift supervisor was required to fill it  
8 out hourly and daily. And they don't talk about the  
9 fires. They don't talk about the incidents. They don't  
10 talk about the spills. They don't talk about the people  
11 that got burned. We had one death up there in that  
12 facility. I don't know what the number was, but there  
13 was a death in the SNAP area from a fire, I believe, or  
14 in a pit it occurred. But nevertheless somebody lost  
15 their life.

16           You know, I've given you facts that happened  
17 back in the '60s. You know, that's a long time ago. But  
18 I wish I could be more precise and be more eloquent as a  
19 speaker, but there's a lot of emotion here involved. And  
20 I get a little bit mad and angry for the way this thing  
21 has been covered up. And you have people like Bonnie  
22 here who have cancer and God only knows how many other  
23 people in this community.

24           MR. SMYTH: It sounds like there's a lot of  
25 topics that you have on your mind.

1           MR. PARKS: Yeah, there's a lot of topics to  
2 discuss. You know, when you talk about 24, it's just you  
3 want to --

4           MR. SMYTH: I understand it's a narrow topic.  
5 Maybe one thing you could do is meet with Thomas after  
6 the meeting or Ravnesh or any of the DOE or Boeing  
7 representatives and they can try to take down your  
8 comments. I guess they are taken down, but address them  
9 at a future meeting.

10          MR. PARKS: Could I just say one more thing?

11          MR. SMYTH: Sure.

12          MR. PARKS: You're talking about cutting up  
13 Building 24, taking it down, and putting it in -- Well,  
14 you couldn't get big pieces of cement in that vault -- in  
15 that middle vault. I mean, it's a small door. And you  
16 talk about putting three -- taking down three stories,  
17 and putting it and taking it inside and cutting it up in  
18 that little aluminum vault. That's impossible. You  
19 know, this is a pretty large facility with lots of cement  
20 and lots of aluminum. So I don't know how you could do  
21 that. You might be able to get that in the substructure  
22 above, but you're not going to take down that aluminum.  
23 It's impossible.

24           Thank you.

25          MR. SMYTH: Thank you.

1           MS. JOHNSON: Hello. My name is Barbara  
2 Johnson. I have been working on this as a community  
3 member since 1989 when it was first discovered that there  
4 was a problem up there.

5           In 1990, I got breast cancer which I firmly  
6 believe was caused by pollution from the site because I  
7 lived right below it.

8           I want to thank people like Dan Hirsch, Cleanup  
9 Rocketdyne, Rocketdyne Watch, new people that have come  
10 on here to help the community have a voice and be heard  
11 and be listened to.

12           What your plans tonight that you're showing  
13 about cleaning up Building 24, I'm going to do an  
14 analogy. When I had my cancer, I didn't just have them  
15 take out the cancer; I went through radiation and  
16 chemotherapy.

17           Sorry. I'm going to get emotional on this.

18           I now have a son who has cancer. When he was  
19 growing up, he played in the hills up there. He rode his  
20 motorcycle. He -- He jumped into some of the streams  
21 and creeks that were there. He played in the caves that  
22 were up in there where water was seeping down, probably  
23 polluted water from Rocketdyne. But little did we know  
24 that at the time.

25           Now he's getting treatment for his cancer.

1 They've found in his lymph nodes that he has squamous  
2 cell carcinoma of the head and neck. They could not find  
3 the primary source and they did take out the lymph nodes.  
4 But instead of saying, Oh, we took the lymph nodes out.  
5 We took the cancer out. We're not going to do anything  
6 else. This is what I can liken to what you're doing to  
7 Building 24. Instead, he is going through horrific  
8 treatment where he's had seven weeks of radiation to his  
9 entire mouth because they couldn't find the primary  
10 source. And if he had done like you're saying you're  
11 going to do at Rocketdyne, he wouldn't have had this  
12 chemo. He wouldn't have had the radiation. He would  
13 have said, Oh, they took the cancer out. I'm not going  
14 to do anything more.

15           This is systemic. Cancer is systemic. You've  
16 got to treat the whole problem. And I would advise  
17 you -- urge you not to release this for public use.

18           Thank you.

19           MS. WALSH: Hi. My name is Christina Walsh. I  
20 represent cleanuprocketdyne.org, and there were several  
21 comments I wanted to make that have been very well put  
22 already.

23           First off, the comment period must be extended  
24 45 days. This has not been noticed and that is illegal.  
25 That cannot be allowed.

1           Now, this afternoon when I desperately started  
2 skimming through these reports, I -- I tried to read  
3 through as much as I could trying to make sense of what  
4 kind of questions would I ask. And then I thought about  
5 this -- this consulting company prepared by Sapere  
6 Consulting, Incorporated, and The Boeing Company. Does  
7 that mean that The Boeing Company actually got paid for  
8 writing the report about the damage they've done up on  
9 the hill? That I find to be astonishing, first of all.

10           So I did a Google search on Sapere Consulting,  
11 Incorporated, to see what I could learn about this  
12 consulting because we keep getting new ones. Every time  
13 we get a new presentation, we have a new set of  
14 consultants that are going to tell us new, happy stories  
15 about how nothing really happened. Right. Sir?

16           Okay. So this -- So I did a Google search.  
17 And the first line is a report also prepared by Sapere  
18 Consulting -- and I'm sorry if I'm mispronouncing that --  
19 and The Boeing Company for the Department of Energy under  
20 contract DE-AC03, and this is for the Santa Susana Field  
21 Laboratory, but it's dated May 2005. Also Boeing made  
22 money writing this report. It is 36 pages in length.  
23 And it goes through all of those buildings --

24           Liz, you mentioned that I think it's nearly 200  
25 buildings -- 200 buildings that used to be in Area 4 that

1 were removed before any oversight or any EPA was involved  
2 at all.

3           This report is page after page after page of  
4 each building, what it was. And then the next page, it  
5 will put it in a different group. And then say, No,  
6 change the number from 4633 to 4075, and then refer it  
7 over to 4836 -- no, 4636. 36 pages of just nonsense like  
8 that.

9           I would hand it to Dan Hirsch, but I'm sure it  
10 would make his head explode because it is absolute, utter  
11 nonsense. And I ask you how it is that this is how time  
12 and money is being spent as people like Barbara Johnson,  
13 like her son, like so many people that are sitting in  
14 this audience that may have come directly from their  
15 chemotherapy -- Okay? This is not the way people to go  
16 about things. And now you're going to -- When you're  
17 calling this streamlined, this is not acceptable. You  
18 need to find the truth, which means you need to actually  
19 look where you know the problem is and not pretend that  
20 you can just put a plastic bubble, as my friend Bill  
21 Bowling (phonetic) mentioned. What a great idea that  
22 would be. That's not what we need to do. So we really  
23 need to look and find the truth.

24           Thank you.

25           MS. ROWE: Hi. I'm Chris Rowe. I live in West

1 Hills. And I have a bachelor's in health education from  
2 CSUN, masters level courses in environmental health and  
3 environmental geology.

4 I became aware of this site about 15 years ago  
5 in my environmental engineering classes at CSUN and  
6 received as a resident of West Hills a disclosure letter  
7 that right now, since it was 15 years ago, I don't know  
8 what agency sent it to me. But it says that where I live  
9 in West Hills is a prevailing winds area implying that  
10 something is coming off the site at Rocketdyne that's  
11 impacting me 5 miles as the crow flies. And as Liz and  
12 other people mentioned, I also live very close to the  
13 other Rocketdyne sites.

14 Now, I've got a number of issues that I want to  
15 address. First of all, we sit here and we say, The EPA  
16 says this, the EPA says that; DOE says this, DOE says  
17 that. Well, therefore, it should be a joint meeting so  
18 that we have people from both agencies here at the same  
19 time.

20 Next, I'd like to say that if I hadn't come to  
21 the couple previous meetings -- I just started coming in  
22 the fall because of my own personal needs -- and I'll go  
23 into that in a second -- but if I hadn't been to previous  
24 meetings, I would not have known about this meeting  
25 tonight if I hadn't gone to the DTSC meeting about two

1 weeks ago.

2 I know, because I am more or less a health  
3 advocate activist, that if you want to reach groups there  
4 are certain newspapers that you notify in. And The  
5 L.A. Times gets the greatest readership in this area.

6 Also, like I said, when I got this letter  
7 disclosing that I'm in this prevailing winds area, if I'm  
8 getting that kind of letter about that, then if you've  
9 got a big enough problem with this building, you should  
10 be sending letters to the residents of Simi Valley and  
11 West Hills or anybody that's in that prevailing winds  
12 area to their homes so that they know about this meeting.

13 This meeting we might have a hundred people here  
14 or whatever or less? This can't represent the millions  
15 of people that are impacted because we don't know about  
16 it.

17 Cancer clusters. I know there's been research  
18 done. I know how research is done about cancer clusters.  
19 And people that are here that talk about it, you know,  
20 they're frustrated. I know of two people -- I'm 54 --  
21 that have breast cancer, grew up in the Canoga Park area.  
22 I'm wondering and they wonder what's the relationship to  
23 the Rocketdyne meltdowns and radiation releases at that  
24 time?

25 Talked to a friend the other day. He's a Boy



1 Scouter, which is where my personal interest came into  
2 why I'm fixed on this site right now. He said his mother  
3 worked there, had bone cancer, and he did not know that  
4 there was a meeting two weeks ago that had to do with the  
5 labor department. Why aren't people that work at this  
6 facility or their families being notified of these  
7 meetings?

8           This gentleman over here mentioned the radiation  
9 that's found in our bodies and compared it -- you know,  
10 making it look like these are normal parts. Okay. Well,  
11 when you look at the radiation in our bodies, we're all  
12 individuals. For example, were we exposed to some kind  
13 of milk as a child that the milk is contaminated in the  
14 1950s by radiation release? Did we live at high  
15 elevations like in Denver where you get natural  
16 background radiation? There's all ways -- all kinds of  
17 ways that we can get exposed to radiation. And,  
18 therefore, just saying we've got natural radiation in our  
19 bodies is not a good answer and comparative.

20           They talk about in this site about background  
21 levels and comparing things to background levels. But  
22 they don't go off-site to the areas that are outside the  
23 perimeter of this area to look at what is noncontaminated  
24 areas for their background levels. So we need to see  
25 that -- those levels. And again, as Liz said we need to

1 see the EPA levels as our basis, not these other numbers  
2 that are misconstrued.

3           Why isn't there an environmental impact report  
4 of this whole site if that's the case? Unfortunately,  
5 there's so many documents. I mean, we're talking  
6 thousands and thousands of pages. We would literally  
7 have to spend every day of our lives sitting on these  
8 websites and looking at all the information and most of  
9 us don't have that time.

10           We need to have meetings that, Number 1, are  
11 more frequent that are geared to the general public.  
12 When you put up things up there with the elemental  
13 symbols -- I'm sorry. I haven't had chemistry since a  
14 little bit in college, high school or more. I don't have  
15 every one of these symbols memorized and don't know all  
16 the dangers of them.

17           I have two friends who have worked for Boeing  
18 and do soil cleanup. One of them is an environmental  
19 soils remediation person, has been telling me for the  
20 last 15 years, There is no problem with the soil up  
21 there. Well, if that's the case and he's cleaning up,  
22 what do you think the chances are that he's really being  
23 careful with what he's sending off-site? And I feel like  
24 each bit of soil that we are taking off-site we're  
25 releasing contaminants into the air.

1           Also, we're talking about now sending this  
2 stuff, the breakdown of this building to Nevada. Nevada  
3 doesn't want our contaminants. So we need to address  
4 that issue. We can't all of a sudden dismantling and  
5 saying, Okay, now it's dismantled. Where are we going to  
6 send it now? because that's one of the major problems  
7 with anything nuclear these days.

8           And I want to know if the people that worked  
9 there have to wear Geiger counters on-site and, if they  
10 don't, why don't they?

11           MR. SMYTH: Okay. Is that a --

12           MS. WALSH: At the Department of Labor meeting  
13 last week --

14           THE REPORTER: I'm sorry. Your name...?

15           MS. WALSH: -- one of the representatives --

16           THE REPORTER: Your name again...?

17           MS. WALSH: My name is Christina Walsh.

18           MR. SMYTH: Just -- Just -- Just --

19           MS. WALSH: And I just wanted to share that  
20 there was a person at the Department of Labor meeting  
21 that said that he wore separate badges for each because  
22 they're cumulative. So there were separate badges that  
23 he wore. He wore four separate ones for each of the  
24 facilities as he cleaned up the spills.

25           MR. SMYTH: Okay. Would you like somebody at

1 Boeing to answer that?

2 MS. WALSH: His name was William Jennings.

3 MS. ROWE: Yes, please. Tell me.

4 MR. SMYTH: Dosimeters?

5 MR. RUTHERFORD: Let me understand your  
6 questions.

7 As I heard it, I think you were wanting to know,  
8 Why doesn't everybody who works at Santa Susana wear a  
9 dosimeter.

10 MR. SMYTH: "If." If everybody that worked  
11 there wore a dosimeter.

12 MR. RUTHERFORD: The people who worked in the  
13 nuclear facilities -- there's only two remaining, one is  
14 Building 24 and they wear dosimeters. But there are  
15 regulations specifying when you have to wear a dosimeter.  
16 We follow those regulations. So the majority of people  
17 on the hill who are, for instance, doing chemical  
18 remediation, they don't wear radiation dosimeters because  
19 they're not working in radiation facilities. So it's  
20 only those radiation workers working in radiological  
21 facilities who wear dosimeters.

22 MR. PERRYMAN: Good evening. My name is Mark  
23 Perryman. I'm the website administrator for  
24 rocketdynewatch.org. I have several questions. I'd like  
25 to bring up a couple things.

1           I didn't notice that there was any kind of  
2 publication in the newspapers or anything until I visited  
3 your website about a week ago regarding this meeting to  
4 download all the documents for it after I heard from -- I  
5 think it was Dan Hirsch.

6           On your website you have posted that you put it  
7 in the Daily News. And if you PDFd it, you can actually  
8 get the Daily News article. It's actually not an  
9 article. It's an advertisement that was paid for.

10           In addition to a public notice in the back in  
11 fine print in the Ventura County Star, I'd just like to  
12 note that both an advertisement and a public notice  
13 doesn't show up in any kind of national archive system --  
14 just Proquest or any news archive system -- nor were --  
15 Thank God that the elected officials and representatives  
16 were here today. Nor were they notified either.

17           I want to know if you'd answer the question  
18 whether or not you've received any public comments yet  
19 before this meeting from members of the public. If maybe  
20 DOE or Boeing could answer the question as Boeing's  
21 contractor, and who they were from.

22           MR. JOHNSON: To date we have not received any  
23 comments on it. We've received none.

24           MR. PERRYMAN: Thank you.

25           I'd also like to follow up everybody's request.

1 We've gone out -- gone ahead and printed out these  
2 postcards for everybody here at the meeting today that  
3 basically ask DOE to extend the public comment period and  
4 also we require agencies to produce a full circle  
5 compliant analysis and cleanup plan that -- I'm sorry --  
6 Dan Hirsch was talking about earlier. So if you guys  
7 would like to fill these out, I have them. And we have a  
8 box right next to the door, and we'd be happy to give  
9 them to DOE.

10           Also, I'd like to bring up another comment. In  
11 the process of D & D of building -- of any building at  
12 the Santa Susana Field Laboratory, a presentation was  
13 shown by, I believe it was, Mike Lopez regarding the  
14 transportation of transuranic waste from the Santa Susana  
15 Field Laboratory to wherever they disposed it.

16           It was noted that the Department of  
17 Transportation was notified, and all Department of  
18 Transportation laws and regulations were followed. I've  
19 received a PowerPoint through a Freedom of Information  
20 Act request of that individual PowerPoint presentation  
21 that he presented at the meeting. I've zoomed in on the  
22 actual trucks sitting on Roscoe Boulevard --

23           Well, I'm sorry. At the Santa Susana Field  
24 Laboratory they took photos. And then they also took  
25 photos on Roscoe Boulevard, which is down in the site.

1 On the site, as you know there's little hexagons or --  
2 Not hexagons -- you know, squares on each truck that  
3 identify what the waste is on each truck. These were  
4 white -- both at the Santa Susana Field Lab and at Roscoe  
5 Boulevard. Therefore, everybody that lives in that  
6 entire area wasn't notified when they saw these trucks  
7 that radiation-contaminated products were in this truck.  
8 Not only --

9           So one can assume that, since it wasn't done at  
10 the field lab nor was it done on Roscoe Boulevard on the  
11 streets in our community, it wasn't put on in the  
12 highways that went wherever it went.

13           So I'd like to follow up on that. I'd like to  
14 know why your agency hasn't done that. I want to know  
15 how Boeing, the contractor, who hires these groups to  
16 transport these waste off-site, how we can somehow make  
17 sure that, one, Boeing is reprimanded for these actions,  
18 for not following up in following the Department of  
19 Transportation rules. And also I'd like to make sure  
20 that this doesn't happen again in the future.

21           I'd also like to know -- maybe Phil, with your  
22 radiation experience at the field lab, what's the cost of  
23 human lives in the cleanup of this project? I know, in  
24 past presentations, it's brought up what the cost is to  
25 human life in the process of D & D.

1           MR. RUTHERFORD: We don't -- We don't use the  
2 cost of human life in any of our decisions on  
3 remediation.

4           MR. PERRYMAN: I didn't ask whether or not it  
5 was considered in any of your decisions regarding D & D.  
6 I was asking whether or not you had the analysis of  
7 whether or not human life is at stake in the process of  
8 your clean-up.

9           MR. RUTHERFORD: I see. That's a very different  
10 question to what you first asked.

11          MR. PERRYMAN: I'm sorry. I had to --

12          MR. RUTHERFORD: Obviously, we -- we're  
13 extremely safety conscious at Boeing. We are required to  
14 be, and we want to be. We have a safety culture that  
15 percolates down from the requirements, management  
16 oversight, procedures, training --

17          MR. PERRYMAN: Is your goal compliance to  
18 (unintelligible) --

19          MR. RUTHERFORD: All employees are aware that  
20 safety is their responsibility, not just the safety  
21 department. So yes, we value human life supremely like  
22 everybody else.

23          MR. PERRYMAN: Okay. But that still doesn't  
24 answer the question of the calculation of human life  
25 sacrificed in the process of the cleanup or D & D. But



1 if you'd get back to me on that, I'd appreciate it.  
2 Since I think it is a part of your D & D plan, it's  
3 required by law.

4 I'd also like to know, Phil, while we're talking  
5 here, What was your job description and assignment in  
6 1995 when the explosion occurred that killed the two  
7 workers in the field lab? if you could just briefly  
8 answer that.

9 MR. RUTHERFORD: My position was the same as it  
10 is now -- Well, actually a little different. I was the  
11 manager of radiation safety.

12 MR. PERRYMAN: Okay. Thank you. I think those  
13 workers died from radiation sickness.

14 MR. RUTHERFORD: No, they did not. That's a  
15 plain falsehood.

16 MR. SMYTH: Sir, let's keep the questions  
17 focused on Building 24.

18 MR. PERRYMAN: I understand. My only issue is  
19 that this is a public meeting and the Department of  
20 Energy holds meetings maybe once or twice a year. The  
21 thing is, is that we have a Santa Susana Field Lab worker  
22 meeting in which the Department of Energy work -- and I'm  
23 sorry, many different agencies come to this meeting and  
24 it's on a regular basis. We don't know when your agency  
25 is going to be back here again for us to communicate our

1 individual comments. Therefore, this ETEC 4024 cleanup  
2 plan that, by the way, so needs a proper public comment  
3 period because it wasn't followed. It also needs to be  
4 expanded to allow the community's comments about what's  
5 going on in this facility as it is in our back yards and  
6 we don't have any other time to communicate it to you in  
7 a public forum.

8 MR. SMYTH: Okay.

9 MR. PERRYMAN: I'm sorry. I'll be brief. I'm  
10 just reading through my notes real quick. We've kind of  
11 rushed through the presentation today.

12 I'm familiar with an EPA report -- or not EPA.  
13 I think it was Department of Toxic Substances Control --  
14 that's now requiring Boeing to make filtered and  
15 unfiltered samples. I was just wondering whether or not  
16 you guys plan to follow through not only during the  
17 period of time that a DTSC has mandated that you follow  
18 during the D & D process of this facility but also, you  
19 know, after that period of time.

20 MR. SMYTH: See, I can understand the desire you  
21 have to ask questions about the whole facility. I  
22 understand that that's a concern of yours.

23 MR. PERRYMAN: This isn't just the whole  
24 facility. This is specific to also --

25 MR. SMYTH: I know. Building 24, though, is

1 a -- The plan to D & D Building 24 is something that  
2 requires, needs public comment and that's the topic of  
3 this meeting. Those comments are wonderful and terrific.  
4 I agree they should be the focus of broader community  
5 meetings. We'll write them down and that's how we're  
6 going to address them. But we need to make sure we get  
7 everybody's comment on Building 24 tonight.

8 MR. PERRYMAN: I completely understand. My only  
9 thing is -- is that I communicate these ideas to your  
10 organization, Boeing I believe it is, one of the world's  
11 largest aerospace manufacturers. And at the last  
12 meeting, in fact, I even brought it up that we should  
13 have more community meetings and you should involve the  
14 public more; and I got no response.

15 MS. CRAWFORD: This is what we get.

16 MR. PERRYMAN: This is what we get.

17 MR. SMYTH: Maybe we can ask Thomas that  
18 question.

19 MR. PERRYMAN: Well, you're his contractor as  
20 well. So you know, you guys also have to follow through  
21 and bring that to him. So regardless, if I communicate  
22 it to the contractor, it should also be brought up to  
23 upper level management.

24 MR. SMYTH: Okay. Duly noted.

25 MR. PERRYMAN: I'm sorry to see that Mike Lopez

1 is gone. I hope that his knowledge and background on the  
2 site as far as what's been going on also gets  
3 communicated to you and that we haven't lost any of his  
4 valuable information during his time at the field lab  
5 regardless of, you know, what effects he's had on the  
6 project itself.

7 I'd like to wrap up here and say thank you again  
8 to the public officials for coming to the meeting in  
9 addition to the individual state regulators, et cetera.

10 I hope that we have these meetings more often  
11 and, if they're not held more often, I'd like to have  
12 some kind of notification as to why they're not held more  
13 often.

14 I look forward to a proper response and drive  
15 safely.

16 MR. SMYTH: Thank you.

17 I just ask you beforehand to try to get all the  
18 comments on Building 24 out first.

19 MS. CRAWFORD: Second.

20 MR. SMYTH: Well, keep the first thing very,  
21 very brief because we're running out of time. And the  
22 line doesn't get any smaller.

23 MS. BOEKER: My name is Sue Boeker. I'm sorry I  
24 was late and didn't get to hear your presentation. And I  
25 know you've been hearing from a lot of angry people here,

1 which is not -- not your fault. It's just the conditions  
2 exist up there and we live here. I mean, when Phil  
3 talked about driving here, he thought we knew where  
4 Roscoe Boulevard -- this is where we live. The winds  
5 blow down, the waters come down off that hill all the  
6 time.

7 Building 4024 --

8 MR. SMYTH: Thank you.

9 MS. BOEKER: In -- I'm kind of like Scooter  
10 Libby. My -- my memory is not what it used to be.

11 Early -- I think I've been at this business for  
12 about 15 years. And I remember a document stating that  
13 Building 4024 would probably have to stay there forever.  
14 Somebody said that the half-life of these isotopes is  
15 250,000 years. Well, they're dangerous until almost over  
16 400- -- like 460,000 years.

17 And the area up there, I'm sure through working  
18 there you know it's beautiful. And it's -- Well, I have  
19 to have a fence around my pool because if a kid falls in  
20 there and drowns, it's called an attractive nuisance.  
21 Well, that's up there only it's a deadly, attractive  
22 nuisance.

23 And the -- Is this the only public comment  
24 meeting we're going to get to have on these documents?  
25 Do you have the authority to say that? Yes or no?

1           MR. JOHNSON: No. In coming here tonight, we  
2 were intending for this to serve as our public meeting.  
3 But what I have heard loud and clear is that you're  
4 wanting more than tonight's meeting. You're wanting an  
5 extension to provide comment on this document. And the  
6 other thing that's been absolutely clear to me, my  
7 introduction to the community --

8           MS. BOEKER: Fire. Fire.

9           MR. JOHNSON: -- you're wanting to have regular  
10 meetings to voice your concerns, not only on the specific  
11 facility we may be dealing with but your other concerns  
12 for the area as well. And what I can commit to is that I  
13 hear and that is something the Department absolutely  
14 needs to do.

15           UNIDENTIFIED SPEAKER: We'd like to see you at  
16 the worker meetings too.

17           MS. BOEKER: You might get taken to dinner, but  
18 then they may --

19           MR. JOHNSON: Yes, I will attend -- I will  
20 attend the work group meetings in the future.

21           MS. BOEKER: I'm sure people will try to be  
22 nice.

23           UNIDENTIFIED SPEAKER: That would be great.

24           MS. BOEKER: The other thing is, there has been  
25 recently a lot of new old documents released --

1 ostensibly, all of them, but they aren't all of them.  
2 They're out of sequence. They're some of the  
3 crash-printed numbers or handwritten numbers and the  
4 sequences of pages are missing. But this is a  
5 document -- and excuse my artwork on it. I'll give it to  
6 you -- that early on it was written in 1989 when this --  
7 when this situation first really became public that talks  
8 about how to mitigate the findings of radionuclides. And  
9 it talks about they had very high readings. And it --  
10 somebody figured out -- somebody at ground water  
11 resources -- the names of these people keep popping up --  
12 that the companies change but their names remain  
13 constant. That if we filter, gee, it goes from -- let me  
14 pick a number -- 239 to 13. We can live with that. And  
15 then they throw the filter away, and then they decant it,  
16 and then they send it to the lab. It always says  
17 "filtered and then acidified and revealed" your water  
18 samples. The soil samples, are you ashing the soil  
19 samples before you test them?

20 MR. RUTHERFORD: (No verbal response.)

21 MS. BOEKER: Are you sure?

22 MR. RUTHERFORD: Yes.

23 MS. BOEKER: And how -- how many -- What's your  
24 grid pattern in this and the surrounding areas,  
25 surrounding Building 4024? This is -- You know, I know

1 that you're very -- I know Phil's pretty casual about  
2 radioactivity. But some of us have been exposed to a  
3 whole lot of it through medical problems. And this --  
4 this document I have -- I haven't had an opportunity to  
5 read it, so it's not fair for me to comment on it. I  
6 would greatly appreciate if you would at least provide --  
7 It would be very nice if you could give us 60 days on  
8 this. I know other people said less, but it -- Some of  
9 these documents are pretty technical. And there are a  
10 lot of us who spend a lot of time reading.

11           And when I had cancer, the only way I got  
12 through -- got through it was to become very clinical and  
13 very analytical. And that's the only way I can get  
14 through this stuff. Some days I can't even read any of  
15 it, but other days I do.

16           MR. SMYTH: Thanks, Sue. I just want you guys  
17 to know that there's 15 minutes left.

18           MS. BOEKER: Also, these are some records --  
19 hauling records -- bills of lading from the old days.  
20 There is radioactivity coming out of the Calabasas  
21 landfill. And it -- We had to get this from the  
22 Department of Regional Sanitation in Los Angeles. So I  
23 think before we start tearing up Building 4024 and  
24 packing it away, we need to know where other stuff is.

25           MR. SMYTH: Thanks, Sue. So 15 minutes left.



1           MR. LUKER: I'll make it brief.

2           MR. SMYTH: Thank you.

3           MR. LUKER: My name is John Luker. I'm a long  
4 time resident, Box Canyon. By trade, I'm a professional  
5 cinematographer, cameraman working in documentary film,  
6 television, and motion pictures. About eight months ago  
7 I started getting involved in this process. Every time I  
8 turn around, it gets scarier and scarier. I'm supposed  
9 to restrict my comments to Building 4024.

10          MR. SMYTH: To the extent that you can.

11          MR. LUKER: Yeah. Well, there you go. There  
12 are some things that are outside of that.

13                 Building 4024, there was a question asked, How  
14 are you going to cut it up? How are you going to get it  
15 out of there?

16                 You're reasonably succinct about that. But how  
17 do you take the foundation out from under a building  
18 without removing the building itself? At some point  
19 you're going to put some kind of structure around this  
20 with, say, sprinklers or something to keep the dust down?  
21 I live in Box Canyon. The routes for transport are  
22 literally right past my house. Will there be some notice  
23 given when these transports are going to be rolling past  
24 my home?

25                 On -- on some of the larger issues, you know,

1 your public outreach stinks. It really does. This  
2 wasn't enough time to respond to this. You need to  
3 extend it by another 45 days I would say. We could get  
4 twice as many people if it had been extended like that.

5 By cutting things up into smaller pieces you're  
6 sort of ignoring the larger problem. From my  
7 perspective, there are too many agencies with too many  
8 different agendas here. And everything should be  
9 controlled by one agency so that we can go to one central  
10 source for information. Since nobody is in charge  
11 because everybody's in charge, DOE doesn't talk to DTSC,  
12 doesn't talk to Health Services, it doesn't talk to the  
13 water board. At the last working group meeting, you know  
14 basically I got up and I told the DTSC that they should  
15 start talking to you so that you guys can coordinate your  
16 efforts. There is no coordination between the DOE and  
17 the DTSC, and somebody should be doing that. We really  
18 need to talk about this site in its totality and not just  
19 this building here, that building here. DTSC will not  
20 talk about radiological contamination, so I can't even  
21 address that. You guys can't talk about chemical  
22 contamination, so I can't address that here. But they're  
23 inextricably linked. There's still stuff coming off that  
24 property going into outlying communities. I've gone all  
25 the around the property where I'm able to, and seen how

1 it falls with goo going down into Sage Ranch where I used  
2 to take a Boy Scout troop. You know, it's like  
3 12-year-olds. You know, there's trails everywhere. That  
4 creekbed, it's not safe for kids to go there. I've gone  
5 down there and I see examples of this all over. What is  
6 this white powdery goo? Sage Ranch is right next to an  
7 old asbestos dump. Has the asbestos dump been  
8 stabilized? On a windy day, is it safe to bring  
9 Boy Scouts there? You know, these are big questions that  
10 I have that nobody seems to have an answer.

11 I would very much like to see more transparency.  
12 I would like to see more notice of these meetings. I  
13 would like to have a public question and answer period  
14 where we could have a wide-ranging discussion about  
15 everything that goes on up there.

16 One of the big questions in my mind is, Which is  
17 safer: Hauling this crap away to Nevada or just leaving  
18 it where it is? And maybe you stabilize the building and  
19 you turn it into a monument to the atomic -- the atomic  
20 industry. Maybe you take these tests and you turn them  
21 into monuments to rocket testing and the moon program.  
22 You know, there's some really amazing stuff that's been  
23 done there. But people don't know about it. People  
24 don't know about what's left over. You know, I wanted  
25 atomic power when I was a kid. I wanted to see us go to

1 the moon. This is the cost of doing business. It's time  
2 to do the right thing and clean it up. It's taken far  
3 too long.

4 In closing, more transparency, please. I would  
5 very much like to see more notice of this stuff. You got  
6 to start talking to people and let people talk to you  
7 without any kind of, you know, problem.

8 Thank you so much.

9 MR. SMYTH: Thanks, John.

10 MR. SALKIN: Again, I could probably talk way  
11 too long on this, but I'll try and keep it short.

12 MR. SMYTH: Please.

13 MR. SALKIN: Knowing things that are always  
14 running through my mind about this when I'm not standing  
15 in front of a mike in front of all the people that I want  
16 to talk to you about it, but aside --

17 My name is Adam Salkin (phonetic). I grew up in  
18 the area. And my family and I have -- unfortunately have  
19 a lot of health problems. I'm trying to learn as much as  
20 I can about all this. As I'm learning, a lot of these  
21 toxins, whether it was from the burn pit, from nuclear  
22 accidents, have gone into the air. That's one of the  
23 things that isn't addressed enough.

24 You know, when you're going to cut up these  
25 materials, what is going to measure what is actually

1 being put into the air? That's one of my questions that  
2 I'd like to ask.

3           What is -- How is it going to be measured?  
4 What's being put into the air? And has it been measured  
5 in the past to my knowledge? How is it going to be  
6 measured going forward?

7           MR. RUTHERFORD: Hi, Adam.

8           MR. SALKIN: How are you doing?

9           MR. RUTHERFORD: We -- We use workplace  
10 monitoring air sampling when there's a potential for  
11 generating general contamination. As with this  
12 decontamination exercise, whenever we rubblize concrete,  
13 for instance, or saw-cut concrete, we sample the air and  
14 analyze it for contaminants and calculate the  
15 concentration, if any, compare it with regulatory limits  
16 that exist for workplaces.

17           We also have environmental air monitoring going  
18 on surrounding Area 4, have done for decades and decades  
19 all during our --

20           MR. SALKIN: Are those -- Can the public see  
21 those records?

22           UNIDENTIFIED SPEAKER: We asked for that during  
23 the fire. You said you'd do it. Isn't a fire an event  
24 that should be monitored?

25           MR. RUTHERFORD: I would -- I would -- can

1 refute that statement also. We had -- We had a public  
2 meeting immediately after the fire when we --

3 UNIDENTIFIED SPEAKER: And the air monitoring  
4 guy said that --

5 MR. RUTHERFORD: Where we showed the data.  
6 Excuse me. Would you let me answer this.

7 UNIDENTIFIED SPEAKER: Sorry.

8 MR. RUTHERFORD: Thank you. We had the air  
9 monitoring systems in Area 4 operating during the fire  
10 for six hours into the fire. And then we lost power, so  
11 they stopped working. We were on-site on the Friday when  
12 the fire was still burning on the northwestern end of  
13 Area 4. We took grab air samples then. We also took air  
14 samples on the following Monday, Tuesday, and Wednesday  
15 when it was extremely windy and ash was blowing all over  
16 the place.

17 MR. SALKIN: And that showed what?

18 MR. RUTHERFORD: And we presented the data to  
19 the agencies and the local fire departments and presented  
20 the same data in the public meeting a month later. Okay?

21 MR. SMYTH: I don't -- I don't really want to  
22 stop the question/answer period because I know you have  
23 lots of questions. But we really do have a short amount  
24 of time and, to the extent that you can focus on  
25 Building 24, I promise Phil will talk with you --

1           MR. SALKIN: He took all this data, but what it  
2 did it show?

3           MR. SMYTH: I understand your question.

4           MR. SALKIN: I mean, I always ask a lot of  
5 questions. I just never get any answers. I'd just like  
6 that one maybe.

7           MR. RUTHERFORD: They show no contamination.

8           MR. SALKIN: So everything is fine. Okay. I  
9 just --

10          MR. SMYTH: Do you have any comments on  
11 Building 24 in the proposed action?

12          MR. SALKIN: I actually do.

13          MR. SMYTH: Okay. Great.

14          MR. SALKIN: Now, in this analysis in areas it  
15 has a scope of proposal action session, it says two  
16 radiological constituents of concern are known to be  
17 present in Building 4024 -- Cobalt-60 and Europium-152.  
18 No other radiological constituents are expected to exist.

19                 With all of the SNAP reactors, with all of the  
20 accidents that have taken place with the work that has  
21 been done there, how could none of these other  
22 contaminants be expected to exist?

23          MR. RUTHERFORD: If you recall my presentation,  
24 I said we will be analyzing for a whole suite of  
25 radionuclides.

1           MR. SALKIN: But here it says they're not  
2 expected to exist. I find that --

3           MR. RUTHERFORD: (Unintelligible). However, we  
4 are measuring for them anyway. So we're being  
5 ultra-conservative --

6           MR. SALKIN: But you truly don't expect them to  
7 exist.

8           MR. RUTHERFORD: No.

9           MR. SALKIN: Okay. Then it says, "But  
10 excavation and removal of asphalt and incidental soils  
11 will likely remove any radiological constituents." Now  
12 the problem is that they're to open this up for  
13 residential use. Where it says, "will likely remove"  
14 really isn't good enough for the families that are going  
15 to have to live there and deal with the health problems  
16 if the contaminants are there. So again, you're saying  
17 you don't expect them to exist, they will likely be  
18 removed.

19           On the page before this in another section, it  
20 says it is assumed that the underlying bedrock does not  
21 contain radioactivity. So there you're assuming. Over  
22 here something is likely. And in another place you don't  
23 expect them to exist. But, you know, all of this  
24 basically doesn't --

25           MR. RUTHERFORD: Adam -- Adam, the bottom line



1 is we'll be doing a MARSSIM compliance survey in  
2 compliance with --

3 MR. SALKIN: And who is watching over this  
4 survey basically?

5 MR. RUTHERFORD: (Unintelligible). And we do  
6 the survey --

7 MR. SALKIN: You do the survey.

8 MR. RUTHERFORD: And ORISE and the Department of  
9 Health Services will do verification soil sampling after  
10 our survey.

11 MR. SALKIN: So the Department of Health  
12 Services is looking over what the Department of Energy  
13 and Boeing is doing. Does that make sense?

14 MR. RUTHERFORD: Say that question again.

15 MR. SALKIN: Department of Health Services is  
16 watching over what Boeing is going to do here? Is that  
17 what you're telling me right now?

18 MR. RUTHERFORD: They always do verification  
19 surveys of both buildings and land.

20 MR. SALKIN: So after that's done, I can talk to  
21 Mr. Greger about the Department of Health Services and he  
22 can tell me what happened there and verify that  
23 everything is now safe for residential use? Is that what  
24 you're telling me?

25 MR. RUTHERFORD: He can provide you with

1 whatever data that his department generates.

2 MR. SALKIN: Because so far I've been told by  
3 DHS that they are not watching over this, what's going on  
4 here, and it's not in their jurisdiction.

5 Isn't that correct?

6 MR. GREGER: California Department of Health  
7 Services has in the past done confirmatory sampling at  
8 building demolitions at SSFL. We do not have regulatory  
9 jurisdiction, as I have made clear to people at the SSFL  
10 work group meetings.

11 MR. SALKIN: But in this instance he's saying  
12 you will be able to tell me if what they're doing is --

13 MR. GREGER: In the past we have done that. We  
14 do not know if we will continue to do that since we do  
15 not have regulatory jurisdiction. That decision will be  
16 made at some time in the future.

17 MR. SALKIN: Apparently, it's already been made.  
18 You're telling me that the DHS is going to be much  
19 stronger. Mark, why are you involved in -- What's your  
20 job description? Why are you involved with the site?

21 MR. GREGER: One moment, please.

22 MR. RUTHERFORD: Let me say --

23 MR. SMYTH: I understand. I'm not trying to  
24 shut off. (Unintelligible).

25 MR. RUTHERFORD: There's an organization,

1 Oakridge Institute of Science & Education, who helped  
2 write the survey protocols that all of the U.S. uses.  
3 It's called a MARSSIM -- the MARSSIM final survey.

4 MR. SALKIN: See, I go from one place to  
5 another.

6 MR. RUTHERFORD: And they will be doing  
7 verification surveys also.

8 MR. SALKIN: Who will be? The DHS will be doing  
9 them like you just said and who else?

10 MR. RUTHERFORD: Oakridge Institute of Science &  
11 Education.

12 MR. SALKIN: So but when you're done, I need to  
13 talk to DHS.

14 MR. RUTHERFORD: Also, I will say that for eight  
15 of the radiological buildings that we have decommissioned  
16 already, the EPA themselves came in and did a fourth  
17 verification survey and verified all the previous  
18 results.

19 MR. SALKIN: I've talked to the EPA and they  
20 tell me that they also are not involved.

21 MR. SMYTH: Let's get your question answered --

22 MR. SALKIN: Okay.

23 MR. SMYTH: -- by Mr. Greger.

24 MR. GREGER: Did you get confirmation, Phil,  
25 from someone in the Department of Health Services that

1 they will continue to do verification surveys?

2 MR. SALKIN: You have done in the past?

3 MR. GREGER: Yes, we have.

4 MR. RUTHERFORD: And we've arranged for a  
5 meeting with your colleague.

6 MR. SALKIN: You just said they were doing. You  
7 just said they were going to do it. You're saying now  
8 they've had verification in the past but not for this  
9 particular case.

10 MR. GREGER: We don't know at this point in time  
11 whether we will continue to do so. It's a matter of  
12 funding and resources.

13 MR. SALKIN: The frustration here -- Hold on.  
14 Hold on. The frustration here is that usually you're not  
15 both in the same room. So I ask you that question, and  
16 then two months later I ask you, and then two months  
17 later I ask you. This is the problem right here. You  
18 are telling me something is going to be done having to do  
19 with DHS. I talk to DHS. He says they are not involved.  
20 You're now saying they are involved. They were in the  
21 past. They might not be in the future. And you're  
22 saying --

23 MR. GREGER: I'm saying we do not know if we  
24 will continue to be involved.

25 MR. SALKIN: You don't know, but he just said

1 you will be.

2 MR. SMYTH: You've made your point.

3 MR. SALKIN: This is my problem. I've made my  
4 point, but I'm still getting nowhere. So okay.

5 MR. SMYTH: I want to make sure all your  
6 comments get in the record and the people behind you --

7 MR. SALKIN: It would just be great if I  
8 actually got an answer for something at some point. But  
9 I'll continue making comments.

10 The last thing I'll just say is that, with all  
11 this going on, with all this going on on this site, I  
12 have no idea how morally or, you know, with anybody that  
13 has a heart can put families on top of this site or open  
14 it up for any sort of unrestricted use for anybody to  
15 hike on, for anybody to be involved in in any other way  
16 than looking at it far away from a distance and saying,  
17 You know, there was a day when people used to live around  
18 there and had a lot of cancer.

19 Thank you.

20 MR. MILLER: My name is Brian Miller with  
21 Congressman Gallegly's office. I just have a brief  
22 comment and quick question.

23 Like Senator Feinstein's office, to my knowledge  
24 we have not received any type of a notice for a comment  
25 period. So I guess I would ask on the record that it

1 will -- it should be extended to allow the public to  
2 comment on this.

3           The second, we seem to be coming rapidly to the  
4 conclusion of a very long process. And I was just  
5 wondering what the timing was for the DOE to turn the  
6 land over to Boeing and when they will actually take the  
7 possession of the land. Is that done -- Is that  
8 potentially going to be done this calendar year or  
9 what -- You know, what's your timing?

10           MR. JOHNSON: At this point, DOE will not -- We  
11 have no intentions of turning it -- It's actually Boeing  
12 land, but we have no intentions during this calendar year  
13 to do anything other than to go through the D & D for the  
14 various facilities. There's no intention to -- for DOE  
15 to walk away from that site or anything of that sort.

16           MR. MILLER: But we've got Building 24. There's  
17 one more facility to do the decontamination of and then  
18 that's probably --

19           MR. JOHNSON: There's another -- We're at the  
20 end of the facilities there near the end of the  
21 facilities there on the site. There's still other soil  
22 and groundwater concerns and there are investigations  
23 that has to be done for the entire site within Area 4.

24           MR. MILLER: Okay. Thank you.

25           MR. HIRSCH: When do you anticipate it final

1 returnable to Boeing? If it's not this calendar year,  
2 when do you anticipate release?

3 MR. JOHNSON: No decision has been made at this  
4 point as to when DOE will be turning it over to Boeing.

5 MR. HIRSCH: But you must have some sense. If  
6 the last two buildings will be done shortly, when is it  
7 all over?

8 MR. JOHNSON: There is still some soil and  
9 groundwater work that needs to be done on that site.

10 MR. HIRSCH: But you have a plan as to when  
11 you're doing it. It sounds like you're not being candid  
12 about when you anticipate it being over.

13 MR. JOHNSON: I don't know the date. If that's  
14 the -- I do not know.

15 MR. HIRSCH: You need to recommend a date.

16 MR. JOHNSON: I can't tell you anything other  
17 than I do not know, Dan.

18 MR. SMYTH: Ma'am....

19 MS. RASKI: Dorrie Raskin (phonetic). And I  
20 just have four things. First, comply with CERCLA. And  
21 everything -- everything there -- should be cleaned up to  
22 EPA standards.

23 And also having the seven-day comment period is  
24 crappy. I had no knowledge of it except for your little  
25 lovely card that I got. There was nothing in the

1 newspapers. So it should be extended 45 days.

2           And also DOE stopped coming to the work group  
3 meetings. They dropped out after about three -- more  
4 than three years ago.

5           MR. SMYTH: Thank you.

6           MS. MASON: My name is Marie Mason, and I sit on  
7 the work group. I also live in the Knolls Canyon  
8 community directly below the site. I have a couple of  
9 comments. You're using the wrong cleanup standards and  
10 the wrong land use. I think we need to all be on the  
11 same page to have the right cleanup standards and the  
12 right land use if it's going to be released for  
13 unrestricted use because it's not -- that's not the  
14 standards you're going to.

15           I was actually kind of shocked, Phil, when you  
16 acted like you might be going to one in a million because  
17 for 18 years I've been coming to the meetings. And for  
18 18 years all I've heard is we have can't ever get to  
19 those standards. We'll have to live with whatever we get  
20 to.

21           And I think you need to get as close as possible  
22 to the 10-6 if we're going to have people live up there.  
23 We're going to have young children and families. And  
24 just one time -- So when you said the EPA went up there  
25 and checked on your work, I remember one time when we



1 were invited up there to see them check it and  
2 immediately the building was gone. You'd already torn it  
3 down, carted it away. And the EPA stood there like,  
4 Whoa, where's the building? Nothing ever happened, but  
5 we all trucked up there to see it get a checkup from the  
6 EPA and the building was gone.

7           So you know, maybe the EPA looks, but sometimes  
8 you get beautiful before they look at you. And I'm sure  
9 remember that one.

10           MR. RUTHERFORD: I remember, Marie. How are you  
11 today?

12           The EPA spent almost three years in planning  
13 their survey. During that three years, we made EPA very  
14 aware that as part of the schedule was the demolition of  
15 three buildings. And we were told, Do not delay that  
16 schedule just to wait for us. Go ahead and demolish the  
17 buildings.

18           So when they finally got their work plan  
19 together after three years, they were able to survey  
20 eight buildings and they reviewed the records of the  
21 three buildings that had already been demolished,  
22 verified that prior surveys had been conducted  
23 appropriately.

24           MR. SMYTH: I want to get us focused back on 24.

25           MS. BRIO: My name is Betty Brio (phonetic) and

1 I have a very unhappy story to tell you. Everything has  
2 been about this building that they're talking about.

3           But my husband was there in '59 when the  
4 terrible explosion happened. First, I have to tell you  
5 about where he came from. He was in the air force in  
6 London fighting the Germans with the Eagle Squadron. But  
7 when he came back to the states and got out of the air  
8 force, he decided, I think I'm going to go up there on  
9 the hill and test rocket engines. I thought, My heavens.  
10 That's terrible, because I knew what it was.

11           So I lived on Roscoe Boulevard directly down  
12 from the lab. Every evening after he setoff the rockets,  
13 our house just shook like that. And you had to sit down.  
14 You couldn't stand up.

15           So after a while -- He worked there three  
16 years; and after a while I decided that that must be  
17 dangerous up there. So I convinced him to leave  
18 Rocketdyne because he couldn't tell me what was going on.  
19 They wouldn't let him say anything. So the -- he left.  
20 But shortly after he left, he became seriously ill. He  
21 became a stockbroker and worked for several years in  
22 Glendale.

23           And so then from then on it was going to this  
24 hospital, that hospital, that doctor. We couldn't figure  
25 out what was wrong with him because they told us nothing.

1 They didn't test him. They never asked us is he all  
2 right. Nobody said anything. So essentially what I'm  
3 trying to tell you is, the contamination up there was  
4 terrible. Now I'm -- He of course died a horrible death  
5 ten years of horrible illness. So now I'm left all alone  
6 for the rest of my life. But what I understand is he was  
7 on bravo stand. And you all know where bravo stand is.  
8 Right outside of Area 4. Okay. If you -- If you were  
9 not working for the energy department, you don't get any  
10 compensation. So I've been left high and dry from  
11 this -- this law that's been passed. But yet he died a  
12 horrible death. And I've been fighting ever since in the  
13 '90s -- I have -- I have all of these portfolios full  
14 of doctor bills, everything. And so they -- they send me  
15 letters say, Well, we have a link to your health -- no to  
16 your husband's health. But you haven't proven anything.  
17 I said well he's dead. What else can I tell you? And I  
18 have all the doctor bills for them to look at. I have  
19 two big -- big summaries of what happened to him. They  
20 read that and they say, That doesn't help us.

21           So now I'm going back to the fact that he was  
22 there in '59. The pollution came out of that building  
23 but they said it stops at the doorway. He -- He --  
24 That's the end. He was here bravo stand. And there's  
25 the doorway. Doesn't mean a thing.

1           So I'm telling you that if you have any people  
2 that are going to live on that land, that's what's going  
3 to happen to them. They're all going to end up in the  
4 same situation because that Dan has said that can never  
5 be cleaned up. Never. So I just wanted you all to know  
6 what -- what are we're headed for for years. I guess I  
7 better be quiet now. Just -- I just thought I'd give  
8 you a note of what happened in '59, what's going to  
9 happen for the next 25 or 30 years. Please don't let  
10 them build houses there.

11           MR. SMYTH: Thank you. Thank you for your time.

12           As you know, public comment officially extends  
13 for a little while longer.

14           Thomas, are you --

15           It's 9:00, actually.

16           MS. CRAWFORD: I believe you heard loudly and  
17 clearly from me as well as all of the elected officials  
18 here, we need a 45-day comment period. Can you tell us  
19 tonight? Can you give us that commitment tonight before  
20 we go home, please?

21           MR. JOHNSON: I guess.

22           MS. CRAWFORD: This is the only one I know that  
23 works.

24           MR. JOHNSON: I guess I'm not too good with the  
25 mike. What I will commit to is that first thing tomorrow

1 morning what I will be campaigning for and what I will  
2 provide to the higher up in my department, it was made  
3 absolutely loud and clear here tonight that you would  
4 like to have the comment period extended. And I commit  
5 to you that that's what I will be doing as soon as I get  
6 into the office tomorrow morning. And we will put the  
7 information on the website as to how long the comment or  
8 when the comment period will be extended to.

9 MS. CRAWFORD: And then post the document itself  
10 so that we can both download it and let you know where it  
11 is and so forth so we can fill in the gaps for the public  
12 notification I think that we were missing.

13 MR. JOHNSON: Yes. I will commit that the  
14 document itself will be there on that -- on the website.  
15 I know hard copies were available outside, but electronic  
16 copies will be there on that website.

17 MS. CRAWFORD: So obviously, time is of the  
18 essence. We're ticking down. We got seven days. When  
19 will we know?

20 UNIDENTIFIED SPEAKER: -- and how?

21 MR. HIRSCH: And how are they going to know?

22 MS. CRAWFORD: The Department of Energy has all  
23 of our mailing addresss and we've got lots of letters,  
24 lots of email, and other stuff.

25 I'm sure that Rocketdyne would join in the offer

1 that we'll be glad to notify our viewership. And we'll  
2 do anything we can to get the message out if you've got a  
3 good message to give us and we can get it out there in  
4 time. I commit to that.

5 MR. JOHNSON: Thank you.

6 MS. CRAWFORD: All right. Thank you very much.

7 And Mr. Johnson you are not in an enviable position.

8 MR. HIRSCH: I ask that you put it on the  
9 website -- also a current schedule, a planned schedule  
10 for site closure. I can't believe you don't have one.  
11 There is a budget request in for money. You have to have  
12 some idea of when that money is to be spent. So rather  
13 than make us nervous that there's something you're not  
14 telling --

15 MR. JOHNSON: No, Dan. I'm not going to let you  
16 do that. You asked two different questions. You asked  
17 me before when we're going to turn it over to Boeing.  
18 There's a difference of when we turn it over to Boeing  
19 and when we expect to disposition the various facilities  
20 that are there on the site.

21 MR. HIRSCH: That's not what I'm asking. I'm  
22 asking about site closure. The topic for the meeting on  
23 the back side of the card says to discuss ETEC closure.  
24 I'm asking you to post on your website your current  
25 schedule for ETEC closure.

1                   UNIDENTIFIED SPEAKER:  When I went to the toxic  
2 substances meeting two weeks ago, I got the impression  
3 when they were talking about how they were remediating  
4 the site that they weren't even going to have a plan for  
5 like five or six years of how they were clean up site.  
6 Yet you guys are trying to take out the contaminated  
7 materials and you're not working hand in hand with them.  
8 So how can you even be thinking about releasing this site  
9 any time if they have radioactive chemicals there, you  
10 know, because they -- they're looking at the elements.  
11 You're looking at the radioactivity.  But they're one and  
12 the same sometimes.

13                   So I think we need coordination.  We need a  
14 meeting where all DHS, you know, DTS -- whatever, DOE,  
15 everybody is there, EPA.  We need that.  And we need it  
16 with, you know, our legislators and stuff like that.

17                   Like I said, I'm new at this game.  I came in  
18 and John mentioned earlier because of the Boy Scouts.  I  
19 was a scout master.  And one of the issues here, again,  
20 that they were talking about, you're focused on Building  
21 24.  I know that.  I recognize that.  But we're talking a  
22 lot about the general effect of this site on the whole  
23 area and on our population.

24                   And when John was talking about the Boy Scouts  
25 and I look at documents on some of these sites and they

1 say Dave's only on Sage Ranch. And then I know my  
2 Boy Scouts have gone up there to camp. And they're  
3 digging in the soil because, if you're doing some kind of  
4 camping activity, you're putting tent stakes in, you're  
5 trucking along, kids are running in the bushes and  
6 whatever. John was saying he's seen stuff in the  
7 creekbeds there.

8           You can't just be looking at Building 24. You  
9 have to be looking at the effect of the whole site -- the  
10 prevailing winds, disturbing the soil. You know, I  
11 don't -- you know they're talking about chopping up  
12 blocks, they're talking about trucking the stuff out.

13           And my knowledge of cleanup of radioactive  
14 things is limited. But I know, for example, that the  
15 scientists are looking at environmental ways of cleaning  
16 up goos and gunks and whatever. And they're using  
17 micro-organisms, for example. I don't know how you're  
18 trying to clean the soil up there. And I need to know  
19 more information than what's being put out there.

20           In other words, are you just taking all this  
21 soil and going to put it in trucks and it's going to  
22 contaminate the air. But we're going to truck it to  
23 Calabasas landfill or take it to Nevada landsite. You  
24 know? I want to understand this better and he did a  
25 little bit of it. But I just feel like there needs to be



1 more remediation and biological remediation and greater  
2 cleanup than the levels that were being discussed with us  
3 today. Okay?

4 MR. JOHNSON: Okay.

5 UNIDENTIFIED SPEAKER: Thank you.

6 MR. SMYTH: Thanks. Thank you all for coming.m.

7 (The Department of Energy Community

8 Meeting was concluded at 9:19 p.m.)

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I, Linda Frazeur, Certified Shorthand Reporter  
number 6697, duly licensed to practice in and for the  
State of California, do hereby certify:

That said transcript was taken before me at the  
time and place therein set forth, was taken down by me in  
shorthand and transcribed under my direction and  
supervision, and is a true and correct transcription of  
my original stenographic notes;

That the dismantling of the transcript will void  
the reporter's certificate.

I further certify that I am neither counsel for  
nor related to any party to said action, nor in anywise  
interested in the outcome thereof.

I declare under penalty of perjury that the  
foregoing is true and correct.

Executed this \_\_\_\_ day of \_\_\_\_\_,  
2007, at Simi Valley, California.

\_\_\_\_\_  
LINDA FRAZEUR, CSR NO. 6697

1  
2 I, Linda Frazeur, Certified Shorthand Reporter  
3 number 6697, duly licensed to practice in and for the  
4 State of California, do hereby certify:

5 That said transcript was taken before me at the  
6 time and place therein set forth, was taken down by me in  
7 shorthand and transcribed under my direction and  
8 supervision, and is a true and correct transcription of  
9 my original stenographic notes;

10 That the dismantling of the transcript will void  
11 the reporter's certificate.

12 I further certify that I am neither counsel for  
13 nor related to any party to said action, nor in anywise  
14 interested in the outcome thereof.

15 I declare under penalty of perjury that the  
16 foregoing is true and correct.

17 Executed this 6th day of April,  
18 2007, at Simi Valley, California.

19  
20   
21 LINDA FRAZEUR, CSR NO. 6697  
22  
23  
24  
25